

STATE OF CALIFORNIA

STATE WATER RESOURCES CONTROL BOARD

---oOo---

PUBLIC HEARING  
REGARDING WATER RIGHT APPLICATIONS FOR THE  
DELTA WETLANDS PROJECT  
PROPOSED BY DELTA WETLANDS PROPERTIES  
FOR WATER STORAGE ON WEBB TRACT, BACON ISLAND,  
BOULDIN ISLAND, AND HOLLAND TRACT  
IN CONTRA COSTA AND SAN JOAQUIN COUNTIES

---oOo---

HELD AT

901 P STREET  
SACRAMENTO, CALIFORNIA  
WEDNESDAY, JULY 30, 1997  
9:00 A.M.

---oOo---

Reported by:

MARY GALLAGHER, CSR #10749

CAPITOL REPORTERS (916) 923-5447

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES  
----oOo----

BOARD MEMBERS:

JAMES STUBCHAER, HEARING OFFICER  
JOHN CAFFREY  
MARC DEL PIERO  
MARY JANE FORSTER  
JOHN BROWN

STAFF MEMBERS:

JAMES CANADAY  
JAMES SUTTON  
DAVID CORNELIUS

COUNSEL:

BARBARA LEIDIGH

DELTA WETLANDS PROPERTIES (APPLICANT):

ELLISON & SCHNEIDER  
2015 H Street  
Sacramento, California 95814  
BY: ANNE J. SCHNEIDER, ESQ.  
BARBARA BRENNER, ESQ.  
and  
JOSEPH NELSON, ESQ.

CENTRAL DELTA WATER AGENCY; RECLAMATION DISTRICTS 38,  
2027, 2036, 2038, and 2072; M & T, INC.; CCRC Farms,  
LLC.; and Palm Tract Farms:

NOMELLINI, GRILLI & MCDANIEL  
235 East Weber Avenue  
Stockton, California 95201  
BY: DANTE JOHN NOMELLINI, ESQ.

NORTH DELTA WATER AGENCY:

DOWNEY BRAND SEYMOUR & ROHWER  
555 Capitol Mall, 10th Floor  
Sacramento, California 95814  
BY: DAVID R. E. ALADJEM, ESQ.

CAPITOL REPORTERS (916) 923-5447

2059

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES  
----oOo----

PACIFIC GAS & ELECTRIC:  
  
RICHARD MOSS, ESQ.  
P.O. Box 7442  
San Francisco, California 94120

CALIFORNIA WATER AGENCIES:  
  
JAMES ROBERTS, ESQ.  
357 South Grand Avenue  
Los Angeles, California 90071

CONTRA COSTA WATER DISTRICT:  
  
BOLD POLISNER, MADDOW, NELSON & JUDSON  
500 Ygnacio Valley Road, Suite 325  
Walnut Creek, California 94596  
BY: ROBERT B. MADDOW, ESQ.

EAST BAY MUNICIPAL UTILITY DISTRICT:  
  
FRED S. EHTERIDGE, ESQ.  
375 Eleventh Street  
Oakland, California 94607

DIABLO WATER DISTRICT:  
  
FREDERICK BOLD, ESQ.  
1201 California Street  
San Francisco, California 94109

CITY OF STOCKTON:  
  
McDONOUGH HOLLAND & ALLEN  
555 Capitol Mall, Suite 950  
Sacramento, California 95814  
BY: VIRGINIA A. CAHILL, ESQ.

BUREAU OF RECLAMATION:  
  
OFFICE OF REGIONAL SOLICITOR  
PACIFIC SOUTHWEST REGION  
2800 Cottage Way  
Sacramento, California 9585  
BY: JIM TURNER

CAPITOL REPORTERS (916) 923-5447

2060

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES  
----oOo----

DEPARTMENT OF WATER RESOURCES:

CATHY CROTHERS  
1416 Ninth Street  
Sacramento, California 95814

STATE WATER CONTRACTORS:

KRONICK, MOSKOVITZ, TIEDEMANN & GIRARD  
400 Capitol Mall, 27th Floor  
Sacramento, California 95814  
BY: CLIFFORD W. SCHULZ, ESQ.  
and  
MARY DIGNAN, ESQ.

DEPARTMENT OF FISH AND GAME:

NANCEE MURRAY, ESQ.  
1416 Ninth Street, 12th Floor  
Sacramento, California 95814

BAY INSTITUTE OF SAN FRANCISCO:

GARY BOBKER  
625 Grand Avenue, Suite 250  
San Rafael, California 94901

CALIFORNIA SPORTFISHING PROTECTION ALLIANCE/COMMITTEE TO  
SAVE THE MOKELUMNE:

MICHAEL B. JACKSON, ESQ.  
446 West Main Street  
Quincy, California 95971

PETER M. MARGIOTTA:

PETER M. MARGIOTTA  
122 Castle Crest Road  
Walnut Creek, California 94595

AMADOR COUNTY:

BARTKIEWICZ, KRONICK & SHANAHAN  
1011 Twenty-Second Street, Suite 100  
Sacramento, California 95816  
BY: ALAN B. LILLY, ESQ.

CAPITOL REPORTERS (916) 923-5447

2061

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES  
----oOo----

DEPARTMENT OF TRANSPORTATION:

DEPARTMENT OF TRANSPORTATION  
DISTRICT 10  
1976 East Charter Way  
Stockton, California 95201  
BY:: DANA COWELL

KYSER SHIMASAKI:

KYSER SHIMASKAKI  
4412 Mala Creek Circle  
Stockton, California 95207

NATIONAL HERITAGE INSTITUTE:

DAVID FULLERTON  
114 Sansome Street  
San Francisco, California 94101

KEVIN WOLF:

KEVIN WOLF  
724 N Street  
Davis, California 95616

----oOo----

CAPITOL REPORTERS (916) 923-5447

2062

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

---oOo---

	PAGE
OPENING OF HEARING	2064
AFTERNOON SESSION	2160
DEPARTMENT OF FISH AND GAME:	
CROSS-EXAMINATION BY:	
DELTA WETLANDS PROPERTIES BY MR. NELSON	2064
BY STAFF	2104
BY BOARD	2142
RE-CROSS-EXAMINATION BY:	
DELTA WETLANDS PROPERTIES	2160
PACIFIC GAS AND ELECTRIC	2166
BY STAFF	2170
DELTA WETLANDS PROPERTIES:	
REBUTTAL TESTIMONY	2176

---oOo---

CAPITOL REPORTERS (916) 923-5447

2063

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

WEDNESDAY, JULY 30, 1997, 9:00 A.M.

SACRAMENTO, CALIFORNIA

---oOo---

HEARING OFFICER STUBCHAER: The Delta Wetlands Water Rights Hearing will reconvene. We'll continue with the cross-examination of the Fish and Game panel by Delta Wetlands.

---oOo---

CROSS-EXAMINATION OF THE DEPARTMENT OF FISH AND GAME  
BY DELTA WETLANDS PROPERTIES

BY JOSEPH NELSON

MR. NELSON: While Ms. Slomski is setting up, let me inform, Mr. Stubchaer, that we received late last night E-mail from Fish and Game, which we appreciate. We know they worked fairly late to get information to us. It's being decoded and we're -- Mr. Vogel, who isn't here right now, he's actually back at the office looking over that data.

So, assuming -- hoping that we won't have any cross questions, that we can deal with that data solely in rebuttal from here on out unless Mr. Vogel calls us and asks -- that there are some issues that he has. I do -- Mr. Wernette was also kind enough to talk to me a little bit about the percentages on pages 54 and 55 after the hearing yesterday. And I do have some questions

CAPITOL REPORTERS (916) 923-5447

2064

1 based upon what he explained to me how those numbers were  
2 derived.

3 And to make it a little easier I made up an  
4 overhead that goes through -- what does -- it's labeled  
5 Delta Wetlands DW 37, which I believe is the next one in  
6 the list. And what it does is it quotes the percentages  
7 that we were -- we had the question about on the top with  
8 respect to pages 54 and 55. And then the lower section  
9 starting with DFG derived these percentages from the data  
10 on Table 5 as follows is the explanation that  
11 Mr. Wernette gave to me last night:

12 Couple of things, Table DW 5 is the table that  
13 we've had up on the overhead several times and we've been  
14 discussing. And he took -- he informed me that he took  
15 those numbers directly from that table. I just want to  
16 have Mr. Wernette state on the record that is correct  
17 discussion of what he and I discussed last night, or a  
18 correction description.

19 MR. WERNETTE: Of our discussion last night?

20 MR. NELSON: Yes.

21 MR. WERNETTE: Yes, it is.

22 MR. NELSON: And can we -- well, we'll get to the  
23 two stars there as we go through it. Patty, could you,  
24 please, put up Table 5. Looking at this -- those  
25 percentages, what you informed you did is you took --

CAPITOL REPORTERS (916) 923-5447

2065

1 looking at the upper corner of Table 5 the winter-run  
2 diversion index diversion effects --

3 MR. NOME LLINI: I think we ought to be marking  
4 this.

5 MS. LEIDIGH: Is this from the BO?

6 MR. NELSON: This is from the DW-5, Table 5. This  
7 is the same exhibit we've been using for the last day.

8 MR. NOME LLINI: What about the prior exhibit?

9 HEARING OFFICER STUBCHAER: That was DW-37. It was  
10 marked and it was on the exhibit.

11 MR. SUTTON: Do you have copies?

12 MR. NELSON: Yes, we have copies that are in the  
13 box.

14 MS. LEIDIGH: Could the copies be distributed?

15 MR. NELSON: Yes.

16 HEARING OFFICER STUBCHAER: Mr. Nomellini, excuse  
17 me, it's a new exhibit, but it is marked for  
18 identification.

19 MR. NOME LLINI: Okay. And that was the prior one  
20 that was the subject of discussion with Mr. Wernette?

21 HEARING OFFICER STUBCHAER: Yes.

22 MR. NOME LLINI: Thank you.

23 MR. NELSON: Okay. Mr. Wernette, since we can  
24 follow both on paper with Exhibit DW-37 and this overhead  
25 of Table 5 from DW-5, as you informed me was what you did

CAPITOL REPORTERS (916) 923-5447

2066

1 was to get the first -- just for example, for the  
2 winter-run diversion, effects were reduced to up to the  
3 60 percent figure.

4 What you did was you took the .85 from the DW BA  
5 column and subtracted it from the .33 from the DFG  
6 column. And then divided it back against -- that value  
7 back against the DW BA column to get a percentage. And  
8 you stated it was about 61 and you rounded it off to  
9 about 60 percent.

10 Is that correct?

11 MR. WERNETTE: That's correct.

12 MR. NELSON: So you didn't compare the reductions  
13 to the no-project conditions. Instead, you took the  
14 percentage of a percentage from .85 to .33; is that  
15 correct?

16 MR. WERNETTE: That's correct. We compared it with  
17 the proposed project as it was described in the EIR.

18 MR. NELSON: So isn't it true, though, when you're  
19 looking at the diversion index and diversion effects what  
20 you're actually -- what these .85, .64, and .33 are  
21 actually doing is adding to what the no-project condition  
22 is.

23 So when -- if you took the actual value wouldn't  
24 it be 17 point -- excuse me -- 18.59 for that DW BA?

25 MR. WERNETTE: That's correct. The no-project

CAPITOL REPORTERS (916) 923-5447

2067

1 information is already subtracted out. So that the --  
2 what the numbers under these other three columns to the  
3 right of the Delta Wetlands BA are the differences  
4 between with project and base conditions.

5 MR. NELSON: And aren't each of these, actually,  
6 just less than one percent of a change from the  
7 no-project condition in each case?

8 MR. WERNETTE: Well, in the case of the -- when it  
9 is a one-percentage change it reflects about a  
10 five-percent increase over the no-project condition when  
11 you're just looking at those average numbers. When you  
12 look at Delta Wetlands BA of about .5 it represents  
13 approximately about a 4 to 5 increase over the  
14 no-project.

15 MR. NELSON: Isn't it -- I'm -- I'm confused. The  
16 17.74 is a percentage. The 0.85 is a percentage value of  
17 increase in the no-project condition. So isn't it true  
18 that the increase is actually 0.85 from 17.75?

19 MR. WERNETTE: Well, instead of being in  
20 percentages, you described it, it's not a percent  
21 increase. It's just an absolute change in the index  
22 value of .85.

23 HEARING OFFICER STUBCHAER: What --

24 MR. WERNETTE: Those indices are values that, you  
25 know, they don't actually have any unit value to them.

CAPITOL REPORTERS (916) 923-5447

2068

1           So this is just showing the absolute difference in the  
2           values. Then we'd have to develop another chart if you  
3           wanted to see the percent change.

4           MR. NELSON: Are those index values percent index  
5           entrainment?

6           MR. WERNETTE: In a sense they're the percent of a  
7           hundred particles that end up being entrained in Delta  
8           diversions, other islands, and State and Federal Water  
9           Projects. So in a sense it's a percent of the hundred  
10          particles released. However, that's indicated by the  
11          parentheses, but in the sense it is an index that, you  
12          know, doesn't represent a percent change from the  
13          no-project, or a percent change with project.

14          MR. NELSON: Okay. I want to go down and clarify  
15          one thing with respect to number three on DW-37 which is  
16          referencing to your statement that Delta smelt diversion  
17          effects were reduced by up to 60 percent --

18          THE COURT REPORTER: I'm sorry. Mr. Nelson, could  
19          you start that over?

20          MR. NELSON: I'm sorry. Start the whole thing --

21          THE COURT REPORTER: Yes. The Delta --

22          HEARING OFFICER STUBCHAER: Slow down a little bit.

23          MR. NELSON: I want to discuss just real quickly  
24          clarify your columns with respect to number three on  
25          DW-37, which, when we discussed -- last night you stated

CAPITOL REPORTERS (916) 923-5447

2069

1           you took the -- so we're looking at the Delta smelt  
2           diversion index which I'll use Table 5 here. You stated  
3           you used the 0.24 column and the 0.05 -- or the DFG  
4           column when we spoke last night.

5                         When I did the calculations last night the  
6           percentage came out differently, our percentage came out.  
7           The difference in that would have been 79 percent. You  
8           stated in the biological opinion that it's 60 percent.  
9           Could you explain why -- or what the differentiation, or  
10          what the problem there is?

11                        MR. WERNETTE: Well, when I spoke to you last night  
12          I gave you a real off-the-top-of-my-head pretty simple  
13          explanation for how we developed our percentages. And in  
14          the case of the Delta smelt diversion index we -- what we  
15          ended up doing after, you know, more thought, the  
16          79-percent reduction that you calculated -- and when we  
17          did it a couple months ago we believed that that probably  
18          overestimated the benefit of Fish and Game's own  
19          biological opinion.

20                        Because one of the measures that we did not  
21          include in our reasonable and prudent measures is we did  
22          not include restrictions on diversions in the months of  
23          June and July in the biological opinion. And Delta smelt  
24          larvae are present in the month of June. And so the data  
25          that are presented on the far right-hand column under the

CAPITOL REPORTERS (916) 923-5447

2070

1 DFG column probably doesn't reflect the total -- you  
2 know, the actual true value.

3 So we -- we tried to inspect the data and  
4 actually look at those months where June contributed to  
5 diversion impacts and subtracted them out so that we  
6 actually came up with a number that was intermediate  
7 between the ESA column and the DFG column and used that.  
8 So that calculation was a little over 60 percent. And we  
9 rounded it off to 60 percent.

10 MR. NELSON: Can you remember exactly how you did  
11 that calculation with respect to what values you used?

12 MR. WERNETTE: I honestly can't remember other than  
13 the method we used where we -- you know, we obviously  
14 displayed the data that we received from Jones and Stokes  
15 in monthly increments so that we could actually look at  
16 those months where June contributed an impact and  
17 subtracted those and then re-averaged the impact.

18 MR. NELSON: Mr. Wernette, one final question.  
19 Looking at DW -- Exhibit DW-37, again, you also informed  
20 me that you actually didn't use the same two columns when  
21 calculating the winter-run discharge effects and the  
22 Delta smelt discharge effects.

23 Instead you used -- instead of using the B --  
24 the BA column and the DFG column you instead this time  
25 used the BA column and the ESA column. Can you explain

CAPITOL REPORTERS (916) 923-5447

2071

1           why you shifted between those two calculations to  
2           different columns?

3                   MR. WERNETTE:  I'd be happy to.  When we asked  
4           Jones and Stokes to model this, we asked the Board and  
5           Jones and Stokes to model this late last winter, we had a  
6           number of measures included in the operating assumptions.  
7           One of them was no diversions -- or no discharges from  
8           Bacon Island during the -- I can't remember -- January  
9           through June period, or through March period, excuse me.  
10          There were a three month period there where we did not --  
11          where we asked them to model the operations to not allow  
12          any discharges for export during that time.

13                   When we developed -- the Department finally  
14          decided on its biological opinion and selected the  
15          reasonable and prudent measures, it did not include that  
16          restriction.  So we believe a fair assessment was --  
17          since we weren't really having much of an effect on  
18          discharges was to use the proposed project as it's  
19          defined in the final operating criteria.  So the  
20          percentages we calculated are, in fact, the same  
21          reductions that occur in the final operating criteria.

22                   MR. NELSON:  So is it -- isn't it true that the  
23          reason you used the ESA column in your discharge effects  
24          calculations and you changed, or modified your 0.05 value  
25          was because you didn't do an independent analysis of the

CAPITOL REPORTERS (916) 923-5447

2072

1 effects of the biological opinion terms?

2 MR. WERNETTE: The reason -- I'll answer that in  
3 two parts, if I can. The reason we didn't do the  
4 discharge analysis -- or we didn't have that data value  
5 to us was because we had just this one model run  
6 available to us to do the assessment. So, we in our  
7 judgments, we decided that we would not have any  
8 modification to what this model predicted as far as  
9 discharges in that center column under DW ESA.

10 And we used the modeling information as best we  
11 could to -- through inspection to modify that .05 number  
12 under the DFG column for diversion effects to reduce what  
13 we estimated originally -- or what this model at least  
14 estimated originally would be the effect.

15 MR. NELSON: Did you then view the March 25th  
16 analysis as an analysis that would be useful in analyzing  
17 the effects of your project under the biological opinion?  
18

19 MR. WERNETTE: In my opinion I think it was very  
20 useful in assessing it. It wasn't a perfect assessment  
21 of our opinion, because we didn't have an opportunity to  
22 provide the more detailed specifications as modified.  
23 And sometimes it's a little hard to predict the exact  
24 outcome of that. So we did the best we could with the  
25 information we had.

CAPITOL REPORTERS (916) 923-5447

2073

1           MR. NELSON: Is the reason that you found it a  
2           useful tool was because the measures analyzed in the  
3           March 25th analysis are very similar to what it ended up  
4           in the biological opinion?

5           MR. WERNETTE: I don't think that's the reason  
6           we found it useful. I think one of the reasons we found  
7           it useful was that at least in the electronic format we  
8           had the capability of seeing the data presented in a  
9           monthly format as opposed to an annual format. So that  
10          when the measures that Fish and Game has in its  
11          reasonable and prudent measures triggered we could easily  
12          see which months were effected and which ones weren't.

13          MR. NELSON: The measures analyzed in the March  
14          25th memorandum aren't they substantially similar to the  
15          reasonable and prudent measures and the additional  
16          conservation measures that Fish and Game has proposed?

17          MR. WERNETTE: When you combine our reasonable and  
18          prudent measures with our additional conservation  
19          recommendations they're nearly identical. The only  
20          exception is that in our additional conservation  
21          recommendations that we make no recommendation with  
22          regards to discharges from Bacon Island in that January  
23          through March period.

24          MR. NELSON: Thank you. I have no further  
25          questions on this exhibit right now. I'd like to direct

CAPITOL REPORTERS (916) 923-5447

2074

1 my next questions to Mr. Sweetnam.

2 Mr. Sweetnam, in your testimony you stated that  
3 a five degree Celsius differential should be applied to  
4 the Delta Wetlands temperature plan, because of effects  
5 on Delta smelt from -- based upon a study that was  
6 conducted by Swanson and Chech; is that correct?

7 MR. SWEETNAM: That is correct?

8 MR. NELSON: Were you aware that the seven degree  
9 Celsius criteria that is in the Delta Wetlands  
10 temperature plan was suggested by Fish and Wildlife  
11 Service after they consulted with Dr. Swanson?

12 MR. SWEETNAM: They used the critical thermal  
13 maximum based on the study report?

14 MR. NELSON: I'm sorry, are you asking me a  
15 question, or -- my question to you was: Were you aware  
16 that Fish and Wildlife Service identified the seven  
17 degree Celsius temperature differential after consulting  
18 with Dr. Swanson?

19 MR. SWEETNAM: Yes.

20 MR. NELSON: You were aware of that?

21 MR. SWEETNAM: Not actually that they consulted  
22 with Dr. Swanson. They basically read the report. I'm  
23 not sure if they consulted with Dr. Swanson or not, or  
24 Dr. Chech.

25 MR. NELSON: Okay. Isn't -- are you also aware

CAPITOL REPORTERS (916) 923-5447

2075

1           that on page E9 of Mr. Wernette's testimony he cites to  
2           the same Swanson and Check study that you cite for your  
3           proposition of 5 degrees Celsius. And he cites it for  
4           the proposition of the short-term temperatures  
5           differentials of 12 degrees Fahrenheit; 16 degrees  
6           Fahrenheit can incapacitate Delta smelt?

7                     MR. SWEETNAM: I'm assuming so.

8                     MS. MURRAY: Wait. Here's mine. Make sure they're  
9           the same.

10                    MR. SWEETNAM: That's the same study. And if you  
11           read the next sentence it says: Longer duration exposure  
12           to water temperature increases of only 9 degrees  
13           Fahrenheit resulted in Delta smelt mortality. Based on  
14           these conclusions Fish and Game selected a maximum  
15           differential of five degrees Fahrenheit in order to of  
16           avoid impacts to Delta smelt and to reduce impacts to  
17           winter-run and spring-run.

18                    MR. NELSON: Are you aware of the five -- are you  
19           aware of the five degrees Celsius mortality observation  
20           occurred, or was reported in the Swanson and Check  
21           report?

22                    MR. SWEETNAM: I'm absolutely aware of that. It's  
23           right here.

24                    MR. NELSON: Isn't it true that the five degrees --  
25           isn't it true that the five degrees Celsius observation

CAPITOL REPORTERS (916) 923-5447

2076

1 was an observation from a metabolic study and not the  
2 tolerance temperature study that Swanson and Chech were  
3 doing?

4 MR. SWEETNAM: I'm not sure if they identify which  
5 study that was from. I'm ready to put this into exhibit  
6 if you want.

7 MR. NELSON: My -- my question to you is: So you  
8 are not aware that the five degrees Celsius mortality  
9 observation occurred in the metabolic study portion of  
10 the report and not the temperature tolerance portion?

11 MS. MURRAY: I think that question has been asked  
12 and answered.

13 MR. SWEETNAM: I can answer again. I'm not sure.  
14 I -- I -- I don't think they identified which observation  
15 that was made in.

16 MS. MURRAY: And if he asks it a third time, I'm  
17 going to object, again.

18 MR. NELSON: I'm just going to ask on the record  
19 that he did review the report completely.

20 MR. SWEETNAM: I will basically state their  
21 results. Can I do that?

22 MS. MURRAY: Sure. He can ask the question three  
23 times.

24 MR. NELSON: Are you going to read the same results  
25 that you --

CAPITOL REPORTERS (916) 923-5447

2077

1 HEARING OFFICER STUBCHAER: Excuse me, gentlemen.  
2 One at a time, because the Court Reporter can't take down  
3 two conversations at once. So, resume.

4 MS. MURRAY: Go ahead, Dale.

5 MR. SWEETNAM: This is -- as cited in my DFG  
6 Exhibit 9 this is the report "Environmental Tolerances  
7 and Requirements of the Delta Smelt Hypomesus  
8 Transpacificus." It is a final report presented to the  
9 California Department of Water Resources dated  
10 July 20th, 1995.

11 "Our results suggest that regardless of  
12 acclimation temperature, life history stage, or season  
13 Delta smelt can be incapacitated by a short-term  
14 temperature increase of only seven to nine degrees  
15 Centigrade. Furthermore, longer duration exposure to  
16 elevated temperatures below the critical thermal maximum  
17 is almost certainly stressful and potentially lethal.

18 Mortality among Delta smelt acclimated to 12  
19 degrees Centigrade and subsequently subjected to an acute  
20 5 degrees Centigrade increase to 17 degrees Centigrade at  
21 temperature well within the critical thermal limits  
22 during routine metabolic experiments illustrated this  
23 phenomenon."

24 MR. NELSON: Thank you. Can I have one second,  
25 Mr. Stubchaer?

CAPITOL REPORTERS (916) 923-5447

2078

1 HEARING OFFICER STUBCHAER: Yes.

2 MR. NELSON: I have no more questions for  
3 Mr. Sweetnam. I'd like to turn to Dr. Rich. When were  
4 you retained by Fish and Game to analyze the Delta  
5 Wetlands Project with respect to temperature?

6 DR. RICH: As far as the contract it was April  
7 Fool's Day, April 1st.

8 MR. NELSON: So you never attended any of the joint  
9 consultation meetings in which temperature monitoring was  
10 discussed; is that correct?

11 DR. RICH: That's correct.

12 MR. NELSON: Did you ever contact Delta Wetlands,  
13 or Mr. Vogel, or Mr. Marine who developed the temperature  
14 plan to discuss it?

15 DR. RICH: No, I didn't.

16 MR. NELSON: In your testimony, your testimony  
17 primarily reviews the ranges of temperature that Fish and  
18 Game has selected as well as those that are in the NMFS's  
19 biological opinion. And you -- the Fish and Game  
20 biological opinion says -- has ranges in temperatures  
21 starting at 58 degrees then a threshold of 66, and a  
22 threshold of 75. The NMFS and the Fish and Wildlife's  
23 opinions include thresholds of 66 and 67.

24 Would you agree, then, that the -- that there is  
25 substantial agreement as to the upper two thresholds of

CAPITOL REPORTERS (916) 923-5447

2079

1           66 and -- between 75 and 77, that those are two critical  
2           thresholds for salmonids?

3           DR. RICH: No, I would not.

4           MR. NELSON: You would not agree that 66 and 67  
5           even though you cite them as -- even though Fish and Game  
6           cites them as thresholds in which changes should occur?

7           DR. RICH: First of all you made several statements  
8           that weren't true. So if you could start over. The  
9           first thing is I didn't just discuss ranges in my  
10          testimony. I went into a great deal of discussion on  
11          sublethal impacts as well as a long list in a table in  
12          the back of all the various studies that have been done  
13          on chinook salmon and water temperatures. And in terms  
14          of thresholds, that are a lot of different thresholds  
15          depending on which study you want to look at.

16          MR. NELSON: Would you agree that Fish and Game and  
17          Delta Wetlands have both identified 66 degrees and 77  
18          degrees as two thresholds that they agree on for changes  
19          in temperature plan criteria?

20          DR. RICH: Perhaps, if you've got a overhead that  
21          has a -- the two side-by-side.

22          MR. NELSON: I --

23          MR. STARR: We have one here. Would you like to  
24          look at it?

25          MR. NELSON: Yeah. Let me look at it to make

CAPITOL REPORTERS (916) 923-5447

2080



CAPITOL REPORTERS (916) 923-5447

2081

1 temperatures above 58 degrees increases of more than one  
2 degree Fahrenheit may result in the adverse effects on  
3 salmonids.

4 And then he -- in support of that proposition he  
5 cites several studies. He says: Boles, 1982; Brett,  
6 1952; Reedamir, 1980; and Zaugg and Adams, 1972. Are you  
7 familiar with those studies?

8 DR. RICH: Yeah. Actually, Boles is just a  
9 literature. It is not a study.

10 MR. NELSON: Is Reedamir a literature review as  
11 well?

12 DR. RICH: No. I don't think Gary's --  
13 Dr. Reedamir's was a study.

14 MR. NELSON: You said you are familiar with those  
15 studies?

16 DR. RICH: Yeah.

17 MR. NELSON: Can you --

18 DR. RICH: Actually, wait a minute. Reedamir is --  
19 if I can see the reference in the back, I think this also  
20 may be a review.

21 MS. MURRAY: The reference in the back of your  
22 direct testimony?

23 DR. RICH: In the back of the biological opinion,  
24 or in the back of Frank's testimony?

25 MS. MURRAY: I don't have it in the back of Frank's

CAPITOL REPORTERS (916) 923-5447

2082

1 testimony.

2 DR. RICH: Dr. Reedamir's it wasn't really a study.  
3 It was just a review article on environmental factors --  
4 '73 or 1980?

5 MR. NELSON: 1980.

6 DR. RICH: Yeah. It's just some environmental  
7 factors. He wrote a review article on some of the  
8 factors that affect smoltification and early marine  
9 survival. So I think of those three Zaugg and Adams and  
10 Brett were the two studies, per se.

11 MR. NELSON: Okay. Can you tell me where in either  
12 Brett 1952, or Zaugg and Adams they specifically identify  
13 information that would support the proposition that an  
14 increase of more than one degrees Fahrenheit will result  
15 in adverse affects on salmonids?

16 DR. RICH: If I had the articles with me, perhaps,  
17 I could, I don't.

18 MR. NELSON: Are you generally familiar with the  
19 Brett study?

20 DR. RICH: Oh, yeah.

21 MR. NELSON: Do you -- do you -- isn't it true that  
22 the Brett study used acclimation -- had a stage study  
23 where he used several different ranges?

24 DR. RICH: Ranges of what?

25 MR. NELSON: Isn't it true that he acclimated the

CAPITOL REPORTERS (916) 923-5447

2083

1 salmon to several different temperatures?

2 DR. RICH: Yes, he did. He was looking at their  
3 upper -- basically, the upper thresholds of the upper  
4 incipient. He was also looking at the lower incipient.  
5 We also looked at the preferred, or what he considered to  
6 be optimal temperature.

7 MR. NELSON: Okay. Now, in this study Fish and  
8 Game decided for the proposition that an increase of more  
9 than one degrees Fahrenheit would be adverse to  
10 salmonids.

11 Isn't it true that the Brett had in his  
12 acclimation studies, he acclimated the fish -- he had  
13 several different stages. He had a stage from 8.8  
14 degrees Celsius to 10.8 degrees Celsius for three weeks  
15 where he held those salmon for three weeks. And then he  
16 had a second one where he started them at the acclimation  
17 temperature of 8.8 degrees Celsius and raised it to  
18 15 degrees Celsius and held those fish at three weeks.  
19 Are you familiar with those two stages?

20 DR. RICH: Yes, I am.

21 MR. NELSON: Isn't it also true that the third  
22 stage he used was he had a group that he had at the  
23 acclimation temperature of 8.8 degrees Celsius acclimated  
24 them to 15 degrees Celsius for one week and then raised  
25 it up to 23 Celsius for two weeks?

CAPITOL REPORTERS (916) 923-5447

2084

1 DR. RICH: Yes, that's true.

2 MR. NELSON: And, finally, didn't he also have a  
3 final group that the salmon were acclimated, first, to  
4 8.8 degrees Celsius, then raised to 15 degrees Celsius  
5 for one week, then raised to 20 degrees Celsius for one  
6 week?

7 DR. RICH: If you say so. I don't remember the  
8 exact actual temperatures.

9 MR. NELSON: Isn't it true that the Brett 1952  
10 study made the finding that they could acclimate salmon  
11 to those temperatures ranges without significant loss?

12 DR. RICH: In the situation where the fish are fed  
13 maximal rations at these rather high temperatures, this  
14 is true. It really has no bearing on the real world in  
15 terms of what goes on with the fish in the San Joaquin,  
16 or any of these other places. It gives us an upper  
17 threshold in a laboratory of what could happen if you  
18 want to kill your fish.

19 MR. NELSON: And the changes, the acclimation, the  
20 shifts in those temperature ranges were all above -- well  
21 above five degrees Fahrenheit, weren't they?

22 DR. RICH: For that particular studies, that's  
23 true. There are other studies such as Horsey (phonetic)  
24 which shows you can have little temperature increase also  
25 in a laboratory setting and you can kill 50 -- 50 percent

CAPITOL REPORTERS (916) 923-5447

2085

1 or more of your fish. It really depends on which study  
2 you're looking at. And you're looking at just one study  
3 for obvious reasons.

4 MR. NELSON: I'm looking for the fact that Fish and  
5 Game cited it at four and the proposition is one degrees  
6 Fahrenheit. So with respect to Zaugg and Adams, are you  
7 familiar with what temperature ranges they used in their  
8 study?

9 DR. RICH: I believe that was -- was a steelhead  
10 study.

11 MR. NELSON: Yes, it was a steelhead.

12 DR. RICH: And it's been a while since I looked at  
13 it.

14 MR. NELSON: All right. Okay. Well, since you  
15 haven't look at it in a while, I'm not going to ask you  
16 questions on it then. Are you aware that the thermal  
17 plan identifies a four degrees Fahrenheit acclimation  
18 temperature threshold in sense of an increase?

19 DR. RICH: I -- actually, I don't think it does. I  
20 think it's about 20 years old. And I think Mr. Rugg can  
21 answer that.

22 MR. RUGG: The thermal plan does include a four  
23 degree surface temperature rise. It also includes a lot  
24 of other things that are more relevant.

25 MR. NELSON: But it does include -- with respect to

CAPITOL REPORTERS (916) 923-5447

2086

1 an increase in channel receiving water --

2 MR. RUGG: Anyplace the surface temperature cannot  
3 exceed four degrees Fahrenheit as long as 25 percent of  
4 the cross-sectional area doesn't increase by more than  
5 one degree Fahrenheit.

6 MR. NELSON: And isn't it true that the four --  
7 does the thermal plan state a duration for that  
8 measurement of the four degrees Fahrenheit?

9 MR. RUGG: No.

10 MR. NELSON: Do you know what duration is typically  
11 used for that measurement?

12 MR. RUGG: It's a maximum at the surface at  
13 anyplace in the receiving water. There's not a duration  
14 element to it.

15 MR. NELSON: Does the thermal plan direct --  
16 doesn't it direct that appropriate averaging periods be  
17 used?

18 MR. RUGG: Not that I'm aware of.

19 MR. NELSON: Dr. Rich, are you aware that in the  
20 Delta daily variations in temperature can range regularly  
21 between zero to six degrees Fahrenheit in a single day  
22 and in certain times of the year up to ten and eleven  
23 degrees?

24 DR. RICH: I'm aware of that. I'm also -- none of  
25 us is aware whether that is good for the fish or not.

CAPITOL REPORTERS (916) 923-5447

2087

1 The fact that they're there, they can't get out of the  
2 area, and they have to basically live in an area that has  
3 a ten degree variation doesn't mean that they're  
4 comfortable, that they're not cold, that they're not  
5 stressed, it's not killing them.

6 MR. NELSON: But it is the natural conditions that  
7 occur in the Delta right now?

8 DR. RICH: Right now it is. And it's not what it  
9 used to be. Before the dam, when the fish went much  
10 further up the tribs than they do now, they could get out  
11 much faster long before the water temperatures got up to  
12 where they are now. So, basically, due to the dams and  
13 diversions and all the other things that are going on  
14 we've created an unnatural environment for the salmonid.

15 MR. NELSON: Are you aware of whether daily average  
16 temperatures vary in the Delta from day-to-day?

17 DR. RICH: From the limited amount of information  
18 that we have they appear to. One of the biggest problems  
19 is that we do not, for whatever reasons, the agencies, or  
20 whoever have not gone out and collected the kinds of  
21 water temperature information that we really need to be  
22 able to resolve a lot of these issues that I was talking  
23 about ten years ago, and nothing was changed.

24 MR. NELSON: Okay. Focusing on the duration of  
25 exposure for temperatures of varying increases in

CAPITOL REPORTERS (916) 923-5447

2088

1 temperature, isn't it true that most of the studies that  
2 are cited have had exposure periods of upwards to 30  
3 days?

4 DR. RICH: I wouldn't say "most." I'd say some do,  
5 some don't. Some have six minutes, some have 24 hours,  
6 other ones have 48 hours.

7 MR. NELSON: Your Rich 1987 study had a 28 to 33  
8 day exposure period.

9 DR. RICH: Yes, that's true.

10 MR. NELSON: You're familiar with the fact that  
11 Brett's exposure -- study had a one-month-plus exposure  
12 period?

13 DR. RICH: I believe so.

14 MR. NELSON: Are you familiar with -- I believe,  
15 Johnson and Brice is also cited by Fish and Game in  
16 several places. Are you aware that Johnson and Brice had  
17 a 1.5 to 6 exposure period for their studies?

18 DR. RICH: I'll have to take your word for it.

19 MR. NELSON: Okay. In your analysis you include  
20 temperature ranges for, I believe, egg to fry emergence  
21 in your analysis, in your appendix; is that true?

22 DR. RICH: It was egg, alevin and incubation.  
23 Yeah, depending on how long the fry were emerging.

24 MR. NELSON: Would you agree that's not an issue  
25 for Delta Wetlands Project since spawning does not occur

CAPITOL REPORTERS (916) 923-5447

2089

1 on the Delta Wetlands islands?

2 DR. RICH: No, actually, I don't agree with that.  
3 I don't agree, because the water temperatures that are  
4 suitable for the egg to fry are basically very little  
5 information -- let me back up here.

6 We have very little information on what is  
7 happening in terms of the incubating eggs and -- that the  
8 damage to the eggs and sperms and the migrating adults.  
9 And we have very little information on what happens to  
10 the very early fry stage, the ones that get wiped down  
11 out of the tributaries when we have big floods, or a lot  
12 of water that's coming down. Most, if not all, of the  
13 studies that we have on growth and that sort of thing is  
14 a function of temperature, they were done on what we call  
15 juveniles, which is the larger fish.

16 And since water temperature tolerances increases  
17 as you proceed from the egg to alevin to the early fry to  
18 the late fry to the juvenile, if we have information for  
19 one of those pieces that -- we don't have site-specific  
20 information, but if we have information for a piece to  
21 this that is relevant such as information for the  
22 pre-emergence for the early fry stage, or even the alevin  
23 which is very similar in terms of the studies to what you  
24 find for both eggs and alevin, then we need to give  
25 it --

CAPITOL REPORTERS (916) 923-5447

2090

1           MR. NELSON: Do eggs and alevin to fry emergence  
2 occur around the Delta Wetlands islands?

3           DR. RICH: I already said they do not. But I've  
4 also told you that the thermal requirements for those  
5 stages, they're -- are very similar to what we believe to  
6 be for the fry are relevant.

7           MR. NELSON: In the Fish and Game criteria they  
8 have cited a 58 degrees Fahrenheit as an upper optimal  
9 growth temperature. And I believe they cite your study  
10 for that. Does stress occur equally on both sides of the  
11 temperature that that upper optimal if -- whatever the  
12 temperature is, does stress occur equally on each side of  
13 that temperature?

14          DR. RICH: On each side of 58?

15          MR. NELSON: Yeah. Is it a curve, I guess, a  
16 parabolic curve? Would a 56 degrees Fahrenheit  
17 temperature have the same type of stress as 60 if you're  
18 using a 58 degrees optimum?

19          DR. RICH: It would depend on the study.

20          MR. NELSON: Can you tell me -- explain for each  
21 life stage what the primary performance factors that you  
22 used to evaluate were, that you used to determine when a  
23 stressful condition exists for salmonids?

24          DR. RICH: They were different for each of the life  
25 stages, but ultimately I think I discussed -- or I

CAPITOL REPORTERS (916) 923-5447

2091

1            basically listed all the various types of stressful and  
2            lethal and optimal temperatures that have been reported  
3            in the literature.  And so depending on which life stage  
4            one wants to consider some of the stressful factors could  
5            be disease; there could be a decrease in growth rate;  
6            there could be a suppression of appetite; there could be  
7            swimming performance.  I mean there's -- there's a long  
8            laundry list of stressful things that have been shown to  
9            happen at various water temperatures.

10            MR. NELSON:  For juvenile out-migrating salmon  
11            could you identify the primary performance factors that  
12            you used?

13            DR. RICH:  That was a -- there's really very, very  
14            little information about chinook smolt during the  
15            migration.  And Dr. Craig Clark up in the Milo and some  
16            of his colleges have done some studies on looking at  
17            growth rate and metabolism as a function of water  
18            temperature in fish that are going through that process.  
19            So that was one of the factors that went into coming up  
20            with a range.

21            MR. NELSON:  Can you identify any other factors  
22            that you used?

23            DR. RICH:  Well, I think I just listed --

24            MR. NELSON:  Just go -- you just said growth rate.  
25            I didn't hear any other factors.

CAPITOL REPORTERS (916) 923-5447

2092

1 DR. RICH: Actually, in that study I believe they  
2 talked about a -- some -- I don't remember. I don't  
3 recall.

4 MR. NELSON: Okay. Based on these factors of which  
5 you've only identified growth right now, but you stated  
6 that there are others, what is the threshold criterion  
7 you used to establish what a stressful condition would  
8 be?

9 DR. RICH: Aren't you just asking me the same  
10 question, again?

11 MR. NELSON: No. In the sense of percentage, can  
12 the threshold criterion, the threshold percentage change  
13 in one of those factors?

14 DR. RICH: There is no percentage. I think -- I  
15 think any physiologist would -- who understands this kind  
16 of study would realize that you get different numbers  
17 depending on which studies you're looking at.

18 And what I'm interested in is making sure that  
19 we have -- that we've got a Delta which is the  
20 equivalent, to me, as a salmon ghetto, we've got a really  
21 stressful situation out there. And so when I look at all  
22 the various water temperatures that result in stress, or  
23 optimal growth, or lethal, or whatever I'm inclined to  
24 look at the lower ends to see, you know, when did these  
25 problems begin in juveniles? What temperatures does

CAPITOL REPORTERS (916) 923-5447

2093

1 disease begin? What temperatures do we start having a  
2 reduction in growth?

3 On the studies on the American River that I did  
4 we found that at temperatures over 60 degrees we started  
5 getting a disease in the fish. And these were fishes  
6 that were at maximal ration. They were fed as much as  
7 they wanted all day long, which is not something that  
8 occurs in the fish in the wild.

9 So in answer to your question: There isn't a  
10 percentage. It is basically looking at -- there never  
11 will be, frankly. I mean it's something that  
12 physiologists will probably have to contend with forever,  
13 things like this, because you can't come up with a  
14 percentage. If we have site specific studies for this  
15 project I could probably give you a percentage, but we  
16 don't.

17 MR. NELSON: So you didn't -- are you stating that  
18 you would not use a percentage to identify what is  
19 significant and insignificant stress?

20 DR. RICH: I would. If there were a study and we  
21 were looking at different water temperatures and say the  
22 growth rate over time, and we would compare the growth  
23 rate for each one of these temperatures and run a  
24 statistical analysis -- and in the study on the American  
25 River the growth rate was significantly lower at

CAPITOL REPORTERS (916) 923-5447

2094

1 temperatures above 60 than it was at 60 and below. So in  
2 that context, yes, you want statistics on it.

3 MR. NELSON: What criteria would you use in that  
4 instance --

5 DR. RICH: I think --

6 MR. NELSON: -- to determine a significance?

7 DR. RICH: I think I just answered that, which was  
8 basically looking at a statistical analysis to determine  
9 whether there is a significant difference in the growth  
10 rate of the fish that you're looking at at a proximate  
11 water temperature.

12 MR. NELSON: What percentage? What would be  
13 significant? I mean you said you --

14 DR. RICH: Oh, okay. I mean look at the T less  
15 than equal to .01, or .05, those are both acceptable.

16 MR. NELSON: .01?

17 DR. RICH: Uh-huh.

18 MR. NELSON: Or .0 what?

19 DR. RICH: 05.

20 MR. NELSON: Let's go back to optimal growth  
21 temperatures. Isn't it true that other studies have  
22 identified higher upper optimal growth temperatures than  
23 58 degrees?

24 DR. RICH: This is true. As I discussed in my  
25 testimony we've got lower and higher ranges for optimal

CAPITOL REPORTERS (916) 923-5447

2095

1 temperatures.

2 MR. NELSON: Isn't it -- haven't upper optimal  
3 temperatures been identified as high as 68 degrees  
4 Fahrenheit?

5 DR. RICH: What studies are you referring to?

6 MR. NELSON: I believe my notes here say Brett 1952  
7 and Brett 1982.

8 DR. RICH: I don't think Brett 1952 did. He was  
9 just looking for tolerance. And the '82 study are you  
10 talking about the laboratory, or the estimates for the  
11 field?

12 MR. NELSON: I wouldn't be able to tell you.

13 DR. RICH: I would have to see the text to be able  
14 to say "yes" or "no" on that.

15 MR. NELSON: Okay. Are you aware of the  
16 temperature criteria in the State Board's salinity plan?

17 DR. RICH: I've looked at it, yeah.

18 MR. NELSON: Are you aware that the State Board in  
19 that plan set a temperature objective for Freeport in the  
20 Sacramento River for 66 degrees from January through  
21 March?

22 DR. RICH: Yes, I'm aware of that, too. And it  
23 exists.

24 MR. NELSON: Are you aware that the salinity  
25 plan -- actually, I want to finish my line of

CAPITOL REPORTERS (916) 923-5447

2096

1           questioning, Dr. Rich, here.

2                         Are you aware that the Board's salinity plan  
3           also sets a temperature objective from April through June  
4           and September and November at Freeport and at Vernalis at  
5           68 degrees Fahrenheit?

6                         DR. RICH:  I'm aware of that.  And I also know when  
7           this came out there was a great deal of discussion on it.  
8           And when I saw it when it did come out I was quite  
9           perturbed at what had happened, because it's quite  
10          evident -- and I've been through this with many, many  
11          biologists at the State agency that it's quite evident  
12          that the temperatures that are in this plan are harmful  
13          to the salmonid.

14                        MR. NELSON:  Isn't it true that the only studies  
15          that you have identified in your literature review that  
16          have occurred since the salinity plan temperature  
17          objectives came out are a Marine 1992 article, which is a  
18          review -- synthetic review that focuses on reproductive  
19          performance on adult chinook salmon at varying  
20          temperature levels and a Johnson 1977 study on egg  
21          incubation and fry emergence?

22                        DR. RICH:  You may know better than I, I'm not sure  
23          what the years are so I can't really answer that.

24                        MR. NELSON:  Can you identify any study that has  
25          been issued since 1991 that addresses these issues that

CAPITOL REPORTERS (916) 923-5447

2097

1           you cite in your testimony?

2                   DR. RICH:  You mean for the Central Valley?

3                   MR. NELSON:  For the Central Valley that you cite  
4           in your testimony.

5                   DR. RICH:  I don't believe there has been.

6                   MR. NELSON:  Okay.

7                   DR. RICH:  Doesn't mean that there shouldn't be.

8                   MR. NELSON:  I have a couple of questions for  
9           Mr. Wernette who -- with respect to the temperature  
10          criteria.  Can we put on the overhead -- actually, I  
11          don't think this overhead actually gives this  
12          information.

13                   MS. MURRAY:  This one?

14                   MR. NELSON:  Will you put it on the overhead?

15                   MR. STARR:  Which one?

16                   MR. NELSON:  The one you had.

17                   MS. MURRAY:  15.

18                   MR. NELSON:  Isn't it true in the Fish and Game  
19          additional conservation measures addressing temperature  
20          that don't allow Delta Wetlands to increase the water  
21          temperature above 58 degrees.  So if it's at, for  
22          example, it's at 57.5 degrees, Delta Wetlands can't cause  
23          an increase of more than .5 degrees, it can't cause it to  
24          go above 58 degrees?

25                   MR. WERNETTE:  That's correct.

CAPITOL REPORTERS (916) 923-5447

2098

1                   MR. NELSON: Does that summary that's up here on  
2 the overhead reflect that?

3                   MR. WERNETTE: It doesn't look like it does. The  
4 language that we have in our biological -- or the  
5 description of what we say is that --

6                   MS. MURRAY: What page are you looking at?

7                   MR. WERNETTE: I'm looking -- in our testimony on  
8 page 20. In that September through June period we -- the  
9 final phase, that did not fit on this overhead, was: And  
10 shall not cause receiving water temperatures to exceed 58  
11 degrees Fahrenheit.

12                   And our intent for doing that was we did  
13 identify what I would consider blocks of temperature  
14 regimes that would be -- at least from a -- from a very  
15 unsophisticated perspective, were conditions that were  
16 good and then fair and then poor in terms of these  
17 temperatures ranges.

18                   And the idea that we went with was that if we  
19 have a range of temperatures that exist in the channel of  
20 below 58 degrees, that, we would consider good. We  
21 didn't want Delta Wetlands Project operations to shift  
22 channel temperatures in adjacent channels from the good  
23 to fair range.

24                   So within that range we basically said, okay,  
25 we're lucky enough to have good conditions for salmon,

CAPITOL REPORTERS (916) 923-5447

2099

1 let's not allow the project itself, the operation of the  
2 Delta Wetlands Project to actually shift us into not just  
3 an increase in temperature but also shift us from one  
4 category in water temperatures to one that was  
5 significantly inferior.

6 MR. NELSON: So isn't it true, though, under that  
7 criteria there could be situations where Delta Wetlands,  
8 for example, could be at -- and this temperature "the no  
9 increase above the threshold" applies to 65 and -- the 65  
10 criteria as well as, right?

11 MR. WERNETTE: That is correct.

12 MR. NELSON: Isn't it true then the Delta  
13 Wetlands -- the channel water could be sitting at 64.8  
14 and then Delta Wetlands would be restricted to not  
15 creating a channel temperature increase of .2 degrees  
16 Fahrenheit?

17 MR. WERNETTE: The way the mathematics would work  
18 out, that is correct.

19 MR. NELSON: Thank you. I'd like to turn back to  
20 Dr. Rich with respect to dissolved oxygen. In your  
21 testimony you noted that dissolved oxygen levels also  
22 have daily variations; is that correct?

23 DR. RICH: That's correct.

24 MR. NELSON: Do they also have variations -- excuse  
25 me, first of all, were -- were you referring to

CAPITOL REPORTERS (916) 923-5447

2100

1 variations within a 24-hour day, or daily averages?

2 DR. RICH: Basically either one.

3 MR. NELSON: Okay. Do you know what the range of  
4 variations is for dissolved oxygen in the Delta?

5 DR. RICH: No, not off the top of my head.

6 MR. NELSON: In examining --

7 DR. RICH: I'm sure it varies, also.

8 MR. NELSON: In examining the dissolved oxygen  
9 criteria, did you look at dissolved oxygen levels data  
10 for the Delta?

11 DR. RICH: Yes. I reviewed some of the information  
12 that existed.

13 MR. NELSON: But you don't remember what those  
14 variations were in the data?

15 DR. RICH: There was quite a bit of information. I  
16 couldn't give you a nutshell capsule of it.

17 MR. NELSON: In your testimony you stated -- I  
18 think this might have actually been in your oral  
19 testimony. You stated on your opinion and belief that a  
20 higher minimum of dissolved oxygen objective should be  
21 applied to the channels adjacent to the Delta Wetlands  
22 islands based on new and more sophisticated understanding  
23 of sublethal effects of reduced DO levels on fishes.

24 On what specific information on sublethal  
25 effects of an incremental change of 5.0 milligrams per

CAPITOL REPORTERS (916) 923-5447

2101

1 liter and 6.0 milligrams per liter did you rely on for  
2 your recommendation?

3 DR. RICH: The information that I had for those  
4 conclusions was some laboratory information on different  
5 salmonid species. I believe that's in my direct  
6 testimony.

7 MR. NELSON: Did those studies directly  
8 specifically look at changes between 5.0 milligrams and  
9 6.0 milligrams?

10 DR. RICH: Perhaps, not at that decimal point. I  
11 think one of them looked at between 5 and 6.3, something  
12 like that.

13 MR. NELSON: In your testimony you relied on  
14 dissolved oxygen studies -- dissolved oxygen  
15 concentrations studies citing Dandy, 1970; Dorfman and  
16 Whitworth, 1969; and Medale, 1987.

17 Are you familiar with those studies?

18 DR. RICH: Yeah.

19 MR. NELSON: Isn't it true that Dandy 1970 is a  
20 brook trout study?

21 DR. RICH: It's also a salmonid.

22 MR. NELSON: Isn't brook trout a non-anadromous  
23 non-native fish west of the Rockies?

24 DR. RICH: This is true, but normally when we look  
25 at dissolved oxygen criteria, since we do not have a lot

CAPITOL REPORTERS (916) 923-5447

2102

1 of information on physiological impacts, we are forced to  
2 look at other salmonid species. And we know generally  
3 that salmonids are probably the most intolerant of the  
4 various species that one would find in the Delta.

5 And so given the lack of site specific  
6 information, the terms of what a fish needs in terms of  
7 dissolved oxygen we do have to look at laboratories  
8 sometimes on other species as well.

9 MR. NELSON: Isn't it true that brook trout have  
10 very different life stages and habits from chinook  
11 salmon?

12 DR. RICH: This is true.

13 MR. NELSON: You also relied upon Dahlberg of 1968.  
14 Isn't it true that Dahlberg -- the Dahlberg 1968 study  
15 has to be viewed in the context that he was tracking  
16 three various variables: Dissolved oxygen, temperature,  
17 and CO2?

18 DR. RICH: I'm -- I'm -- I'm not sure I understand  
19 your question. You basically said those were the three  
20 things they were tracking and that's true.

21 MR. NELSON: Right.

22 DR. RICH: And what was your question?

23 MR. NELSON: Isn't it true that the results of  
24 those studies was general to the tracking of those three  
25 variables?

CAPITOL REPORTERS (916) 923-5447

2103

1 DR. RICH: Yes. And one of them happened to be  
2 dissolved oxygen, which was what I was interested in.

3 MR. NELSON: I'm curious whether they called out  
4 dissolved oxygen impact separately, or is it that they  
5 generally combined the three factors and made their  
6 conclusions on all three factors together?

7 DR. RICH: I don't recall.

8 MR. NELSON: That concludes my cross-examination.

9 HEARING OFFICER STUBCHAER: Okay. Thank you. Is  
10 there anyone else who wishes to cross-examine this panel  
11 other than staff? Okay. Staff.

12 MR. SUTTON: You go first.

13 MS. LEIDIGH: You go ahead and start.

14 HEARING OFFICER STUBCHAER: Mr. Sutton.

15 ---oOo---

16 CROSS-EXAMINATION OF THE DEPARTMENT OF FISH AND GAME  
17 BY STAFF

18 MR. SUTTON: Mr. Wernette, good morning.

19 MR. WERNETTE: Good morning, Jim.

20 MR. SUTTON: You have proposed in your biological  
21 opinion that up to 20 percent of water diverted by Delta  
22 Wetlands be used for environmental purposes; is that  
23 correct?

24 MR. WERNETTE: That's correct.

25 MR. SUTTON: Would you envision this water being

CAPITOL REPORTERS (916) 923-5447

2104

1 held and released at a time of Fish and Game's desire, or  
2 preference, or recommendation to be used for  
3 environmental purposes?

4 MR. WERNETTE: Yes. I would envision that it would  
5 be with input from the Federal Fish and Wildlife agencies  
6 and EPA as well.

7 MR. SUTTON: Assuming that Delta Wetlands fills  
8 primarily in the fall and winter months and builds up  
9 this -- if you will, this bank account of water, when  
10 would you anticipate that this water would be used  
11 primarily during the year?

12 MR. WERNETTE: Probably in the March, April, and  
13 May period.

14 MR. SUTTON: And for what purposes would that be  
15 used?

16 MR. WERNETTE: Some of the reasons that it could be  
17 used were -- depending on information may be in the  
18 April/May period from the realtime program. There may be  
19 an opportunity to transport, or assist in the transport  
20 of larval Delta smelt westward into the rearing areas in  
21 Suisun Bay.

22 Another reason could be that there -- if that's  
23 not -- if that opportunity doesn't present itself, we  
24 anticipate that those releases could offset some of the  
25 existing adverse hydrodynamic effects that we continue to

CAPITOL REPORTERS (916) 923-5447

2105

1 be concerned about in the Central Delta.

2 A third thing could be to increase the Keywest  
3 flows that the people -- the calculation of westward  
4 flows that have been linked to, at least, an indicator of  
5 beneficial effects -- or beneficial effects of salmon  
6 rearing in and migrating through the Delta.

7 MR. SUTTON: Were you here to hear the testimony by  
8 the California Urban Water Agencies in regard to water  
9 quality, in particular, dissolved and total organic  
10 carbon?

11 MR. WERNETTE: Yes, I was.

12 MR. SUTTON: CUWA recommended that Delta Wetlands  
13 water not be allowed to be released if it has a higher  
14 TOC or DOC, whatever, than the ambient receiving water.

15 Are you familiar with that recommendation?

16 MR. WERNETTE: Yes, I am.

17 MR. SUTTON: Are you also familiar with the  
18 information that CUWA presented in one of their exhibits  
19 that suggests that dissolved, or total organic carbon is  
20 highest in the winter and declines to relatively low  
21 levels on average about four to five milligrams per liter  
22 during the spring and summer?

23 MR. WERNETTE: I -- I don't think I carefully paid  
24 attention during that part of the program.

25 MR. SUTTON: Are you familiar with the trend that

CAPITOL REPORTERS (916) 923-5447

2106

1           they showed on their graph?

2                   MR. WERNETTE:  Yes.

3                   MR. SUTTON:  Okay.  Where I'm going with this is my  
4           question is this:  Assuming that Delta Wetlands water has  
5           a higher dissolved, or total organic content than the  
6           receiving water at the time in which you wish to use it,  
7           is it Fish and Game's position that that water should be  
8           released, or should it not be released to be in  
9           consistency with the position of the California Urban  
10          Water Agencies?  How would this water be used?

11                   MR. WERNETTE:  I -- I don't know that our  
12          department has developed a position on that specific  
13          question.  The -- the -- if the -- I would assume that if  
14          the request that the Urban Water Agencies had made  
15          becomes a permit condition and, you know, the Department  
16          may be in a position and other Fish and Wildlife agencies  
17          may be in a position of having to identify a less optimal  
18          period for the release of that water, that could still  
19          provide fisheries benefits.

20                   For instance, in the fall when there might be  
21          opportunities to improve conditions for yearling  
22          spring-run salmon, but the benefits wouldn't be as  
23          significant as they would be if we could release in  
24          March, April, and May.  And I honestly don't know when  
25          you end up with that type of conflicting information

CAPITOL REPORTERS (916) 923-5447

2107

1           between one -- how the Board itself actually resolves  
2           that to ensure that there aren't conflicting permit  
3           conditions. So it's really tough for me to answer how it  
4           actually would occur other than the response I gave.

5           MR. SUTTON: If you were releasing -- if you were  
6           proposing to hold that water and release it into the fall  
7           months, at the same fall late-fall period when Delta  
8           Wetlands is filling, would this have an additional  
9           incremental impact on project?

10          MR. WERNETTE: Can I ask a clarifying question,  
11          Jim?

12          MR. SUTTON: Yeah.

13          MR. WERNETTE: Are you suggesting if we held the  
14          water late into the fall and not released it, yet, that  
15          that would -- you know, there wouldn't be an opportunity  
16          to store because the reservoir would be full?

17          MR. SUTTON: Or at least there would be up to 20  
18          percent reservoir capacity that's already taken.

19          MR. WERNETTE: If they're -- by observation of the  
20          operation data suggests that there aren't very many  
21          opportunities to fill the reservoirs over a seven-month  
22          period in the months of October and November, for  
23          instance. But I would assume that if we had a  
24          significant part, significant percentage of the storage  
25          on the project environment water that it would affect

CAPITOL REPORTERS (916) 923-5447

2108

1 project yield in that year if they had the opportunity to  
2 fill in the month of November.

3 It's difficult to look at the model data to know  
4 what happens in December. For instance, if the operation  
5 of the model predicted that it could fill in November,  
6 that might have been their first opportunity to fill.  
7 That didn't mean there wasn't also water available in  
8 December. So the ultimate affect could be zero on terms  
9 of project diversion opportunities. In other words, an  
10 early wet fall may also translate into continued wet  
11 conditions through the month of December.

12 MR. SUTTON: But if they fill in December then  
13 according to your formula they have to donate an  
14 additional amount of water to environmental uses compared  
15 to filling in October and November; is that correct?

16 MR. WERNETTE: That's correct.

17 MR. SUTTON: Okay. On DFG Exhibit 15 where you've  
18 compared dissolved oxygen requirements for CESA versus  
19 Delta Wetlands, I call your attention to the last portion  
20 of the dissolved oxygen section there where it says:

21 DW shall not discharge for export water less  
22 than 6.0 milligrams per liter, or when receiving water is  
23 less than 5.0 milligrams per liter without notifying DFG  
24 and the Board."

25 What's the significance of the words "for export

CAPITOL REPORTERS (916) 923-5447

2109

1           there"?

2                   MR. WERNETTE:  The significance is that the  
3           operating criteria for Delta's dissolved oxygen would  
4           apply to the discharges for export only.

5                   MR. SUTTON:  So if that water was being released  
6           for environmental purposes it would be all right to  
7           release it at less than 6.0 milligrams per liter?  I'm  
8           confused, because that term does not come up anywhere  
9           else.

10                   MR. WERNETTE:  Can you answer the question, again,  
11           please -- or ask the question, again, please?

12                   MR. SUTTON:  I can't answer the question, that's my  
13           problem.  Nowhere else on this chart is there a  
14           distinction made between discharge of water for export as  
15           opposed to other purposes.  In this one case it says DW  
16           shall not discharge for export water of less than the  
17           characteristics I just gave you.  And I'm asking  
18           what's -- what's the reason for that distinction here?

19                   MR. WERNETTE:  Well, if I can -- if I can start by  
20           responding to your overall question about, you know, how  
21           discharges are dealt with in all of these water  
22           quality -- you know, water quality, for instance, in  
23           water temperature.  We do have a separate criteria that  
24           addresses the releases of water, for instance, from the  
25           habitat islands that -- and you've described it that are

CAPITOL REPORTERS (916) 923-5447

2110

1 not on this chart that I can tell.

2 So we -- we release -- or, excuse me, we have  
3 different criteria that are in our biological opinion, at  
4 least in the additional conservation measures, that we  
5 recommend to address discharges from the habitat islands.  
6 And to the best of my knowledge, however, I don't recall  
7 whether we actually have any -- in the case of dissolved  
8 oxygen, whether we have any differentiation between the  
9 reservoir islands where we're releasing water for  
10 discharges versus export versus when it's being released  
11 for environmental uses, or being -- discharges from  
12 habitat islands.

13 MR. SUTTON: Would you anticipate a situation where  
14 you would want to release water of lower dissolved  
15 oxygen, or have an impact on the receiving water for  
16 lower than the criteria shown here, where you might want  
17 to release it for environmental purposes but not for  
18 export?

19 MR. WERNETTE: Your question is: Do I see a  
20 condition where the DO level may be below these criteria  
21 when we might want to release it for environmental  
22 purposes?

23 MR. SUTTON: Yes.

24 MR. WERNETTE: That is a possibility.

25 MR. SUTTON: Okay. Thank you. With regard to --

CAPITOL REPORTERS (916) 923-5447

2111

1 MS. MURRAY: Did anyone else have any opinion about  
2 that, or have you discussed that with any of your staff?

3 HEARING OFFICER STUBCHAER: Are you on the record?

4 MS. MURRAY: No.

5 MR. SUTTON: With regard to your discussion  
6 yesterday about topping off, you indicated that -- as I  
7 understand it that without getting into the details of  
8 water law, that you thought that since they're using --  
9 Delta Wetlands is using water on the properties now for  
10 agricultural purposes under their riparian and senior  
11 water rights permit that, in essence, this could be  
12 transferred to a new use of topping off; is that correct?

13 MR. WERNETTE: That's correct.

14 MR. SUTTON: And in making your calculation about  
15 the effect of your biological opinion on the loss of  
16 yield to the project, is it your belief that with the  
17 topping off process, or procedure that essentially there  
18 would be relatively little impact on total yield?

19 MR. WERNETTE: If the -- if the Board conditions  
20 their water rights clearly fixed topping off criteria,  
21 the estimates are that we would -- that that measure  
22 would replace most or all of the evaporation losses, but  
23 only around a third or half of the yield effects of the  
24 measures that we have.

25 MR. SUTTON: On page 65 of the biological opinion

CAPITOL REPORTERS (916) 923-5447

2112

1           you say that the cost per acre foot should be the same --

2

3                   MR. WERNETTE: That's correct.

4                   MR. SUTTON: -- between the Federal and the State.

5           But you're testifying here that part of the losses of

6           your measures are not made up by the topping off

7           procedure. Therefore, how can the -- assuming that the

8           capital cost and O&M cost and everything else is the

9           same, how can the costs be the same?

10                   MR. WERNETTE: The reason that they're the same is

11           that when Jones and Stokes performed the operation

12           studies to estimate project yield, they didn't account

13           for any topping off. So they ended up taking -- taking

14           it into account all the evaporation losses that would

15           occur from late spring through fall and in their

16           operation modeling subtracted those out. So that the 154

17           acre feet is the bare number after evaporation losses

18           with no make up.

19                   So what -- what -- what I'm suggesting without

20           going into a whole lot of detail, if the estimate, for

21           instance, of evaporation is 27,000 acre feet during that

22           time period, and our measures cause an additional

23           reduction in project yield of 10,000 that when you

24           average, or take a look at the topping off measures it

25           may not totally offset the combination of those two

CAPITOL REPORTERS (916) 923-5447

2113

1 numbers.

2 So what we're suggesting in our biological  
3 opinion in the brief analysis that we did was that  
4 we'll -- we'll be able to do what Jones and Stokes did  
5 not in their modeling, which is provide some assurances  
6 that that topping off can occur and those evaporation  
7 losses can be replaced in some -- in some -- at least, in  
8 some part of the environmental water reductions.

9 MR. SUTTON: If you assume that water -- if the  
10 project when the Delta is in balance condition that  
11 there's no surplus water available for taking under the  
12 Applicant's permits, that that water is not available for  
13 topping off, what is the difference in project yield  
14 between the project as modeled using the Federal  
15 biological opinions and the Fish and Game's biological  
16 opinion?

17 MR. WERNETTE: It would be a reduction of about  
18 13 percent. So if you multiply the 154 times 13 percent  
19 that would be the reduction.

20 MR. SUTTON: Okay.

21 MR. WERNETTE: So --

22 MR. SUTTON: Thank you. Ms. McKee, I can't even  
23 see you there, you've recommended additional screens be  
24 done on other unscreened diversions in the Delta?

25 MS. MCKEE: Yes.

CAPITOL REPORTERS (916) 923-5447

2114

1           MR. SUTTON:  And these would be -- let me rephrase  
2           that.

3                        Without getting into the legal aspect of it, are  
4           you aware of any authority that the Board has to require  
5           such screens?

6           MS. McKEE:  I'm not an expert on the Water Code,  
7           but I do believe that the Board, through mechanisms in  
8           terms of protecting beneficial uses during diversion of  
9           water, there's probably some nexus there.  But, again,  
10          I'm not an attorney and an expert on the Water Code.

11          MR. SUTTON:  Let me ask a general question.

12          MS. McKEE:  Good.

13          MR. SUTTON:  And this is to the panel, I'm done  
14          with that topic, thank you.  Sorry to confuse you.

15          HEARING OFFICER STUBCHAER:  Mr. Sutton, if you're  
16          through there, how much more do you have?

17          MR. SUTTON:  I have about three questions.

18          HEARING OFFICER STUBCHAER:  Just three questions.

19          HEARING OFFICER STUBCHAER:  Okay.

20          MR. SUTTON:  Do you want to take a break now?

21          HEARING OFFICER STUBCHAER:  Sure.  And if you want  
22          to think of more questions you wouldn't be pressed for  
23          time.  Sure, let's do that.  Let's take our morning  
24          break.

25                        (Recess taken from 10:30 a.m. to 10:44 a.m.)

CAPITOL REPORTERS (916) 923-5447

2115

1 HEARING OFFICER STUBCHAER: We'll reconvene the  
2 hearing. Mr. Sutton, are you prepared to resume your  
3 cross-examination?

4 MR. SUTTON: I think so.

5 HEARING OFFICER STUBCHAER: Okay.

6 MR. SUTTON: Mr. -- Ms. McKee.

7 MS. MCKEE: Mr. McKee --

8 MR. SUTTON: Maybe I'm not ready. Let me ask a  
9 follow-up question on the screening question I asked you.

10 MS. MCKEE: Sure.

11 MR. SUTTON: If the screens you recommended are not  
12 installed, what is the additional incremental impact on  
13 the endangered species resulting from the Delta Wetlands  
14 operations, all other things being equal?

15 MS. MCKEE: In Delta Wetlands and Mr. Shaul's  
16 testimony they provide an overall annual summary of the  
17 incremental increase in mortality index. But that is not  
18 a very informative way of providing the information on  
19 what are the remaining incremental impacts.

20 If I had a copy of the actual model output, I  
21 could answer your question more specifically. All I know  
22 from the testimony and the information provided to us is  
23 that there will be ultimately a remaining incremental  
24 mortality.

25 MR. SUTTON: But have you calculated -- is there

CAPITOL REPORTERS (916) 923-5447

2116

1           any way of calculating what effect the screens will have  
2           that you're proposing on that mortality?

3           MS. McKEE:  Actually, yes, there would be.  I would  
4           hope to -- even after this hearing is over, get a copy of  
5           the output modeling runs.  And I would suggest that also  
6           that's still necessary to be done since much of the  
7           modeling was based on our draft biological opinion,  
8           reasonable and prudent measures, and conservation  
9           measures.  And to clarify the record, it would be good to  
10          have the model runs done again for the final BO.

11                    Then with that information on the mortality  
12          index plus looking at the hydraulic parameters we would  
13          be able to look at what are the remaining incremental  
14          impacts.  And the Department has been working now for a  
15          couple years with the National Marine Fishery Service and  
16          the U.S. Fish and Wildlife Service on HCP that -- and  
17          this is actually essential to the whole effort to develop  
18          mitigation for impacts is how many screens and at what  
19          locations would be necessary to mitigate for certain  
20          levels of mortality?

21                    And I think that would be a very good template  
22          to be used to develop the number of screens and locations  
23          that would be necessary to fully mitigate.

24                    MR. SUTTON:  Thank you.  Ms. Rich -- Dr. Rich, in  
25          your Exhibit DFG 7 on pages 7 and 8 you use the term

CAPITOL REPORTERS (916) 923-5447

2117

1 "significant losses." Do you see that?

2 DR. RICH: Which item number?

3 MR. SUTTON: In reference to -- on page seven, the  
4 NMFS temperature and DO requirements.

5 DR. RICH: Yes. Okay.

6 MR. SUTTON: Okay. And I was wondering how are you  
7 defining significant losses there?

8 DR. RICH: Basically, a loss in terms of a high  
9 mortality, or a high amount of stress which would  
10 ultimately -- could ultimately result in more mortality  
11 down the line somewhere.

12 MR. SUTTON: Are you using significant in the  
13 statistical sense?

14 DR. RICH: Not in that sense, no.

15 MR. SUTTON: So you haven't done any statistical  
16 analysis to determine what the difference in losses would  
17 be between the Federal biological opinions and the  
18 California Department of Fish and Game's biological  
19 opinion; is that correct?

20 DR. RICH: That's correct.

21 MR. SUTTON: Thank you. Finally, if someone could  
22 put up Figure 12 --

23 MR. STARR: That was theirs.

24 MR. SUTTON: Oh.

25 MR. SUTTON: I believe out of CESA?

CAPITOL REPORTERS (916) 923-5447

2118

1 MR. STARR: I didn't make a copy of that.

2 MR. SUTTON: You didn't make a slide of it, okay.  
3 Regardless, let me ask a question about that and I'll  
4 throw it out to whoever can best respond to it.

5 The testimony that was given indicated that  
6 the zero line on that graph -- and I'm talking about the  
7 upper portion of that figure there, represents the  
8 no-project impacts. Is that correct?

9 MR. STARR: Yes.

10 MR. WERNETTE: That's correct, Jim.

11 MR. SUTTON: Okay. And the values above that line  
12 represent the incremental impacts of the Delta Wetlands  
13 Project with the Federal biological opinions. Is that  
14 correct?

15 MR. WERNETTE: Excuse me --

16 MR. SUTTON: The gray bars.

17 MR. WERNETTE: Say that, again, Jim.

18 MR. SUTTON: The gray bars represent the  
19 incremental impacts on winter-run salmon entrainment over  
20 and above the baseline, or no-project condition; is that  
21 correct?

22 MR. WERNETTE: That's correct.

23 MR. SUTTON: And my question is: What are -- what  
24 is -- how do you obtain a -- a negative impact value  
25 under the CESA requirements for March?

CAPITOL REPORTERS (916) 923-5447

2119

1           MR. WERNETTE: The reason for that is that in the  
2 question that I answered earlier with you, Jim, with  
3 regards to when we might advocate using the environmental  
4 water, we asked Jones and Stokes to assume that we would  
5 release a percentage of that water in the months of  
6 March, April, and May for the purposes of modeling. So  
7 that improvement represents the fact that during that  
8 year there was actually a net improvement in conditions  
9 attributable to the release of that environmental water.

10           MR. SUTTON: Thank you. That's all I have. Thank  
11 you.

12           HEARING OFFICER STUBCHAER: Anyone else,  
13 Mr. Canaday?

14           MS. LEIDIGH: I have a couple questions and then  
15 Mr. Canaday is going to have a bunch of questions.

16           HEARING OFFICER STUBCHAER: Okay. Ms. Leidigh.

17           MS. LEIDIGH: Mr. Wernette, in your biological  
18 opinion one of the reasonable and prudent alternatives,  
19 or measures involves payment of \$75,000 a year by Delta  
20 Wetlands to the Department of Fish and Game for  
21 mitigation purposes.

22                   If that is paid by Delta Wetlands to the  
23 Department of Fish and Game, assuming that the Board  
24 finds that it is able to put that kind of a permit term  
25 in the permit and so on, does the Department of Fish and

CAPITOL REPORTERS (916) 923-5447

2120

1 Game have a fund that is available to it from which it  
2 can use that money for any purpose? Is there already a  
3 fund that's been authorized by the Legislature for that  
4 purpose?

5 MR. WERNETTE: I don't have a complete  
6 understanding of the fiscal arrangements within our  
7 department to -- other than to say that the Department  
8 has a special deposit account that's been set up with the  
9 State Controller's Office that allows us to receive  
10 mitigation funds, other funding that are related to  
11 mitigation projects and oversight of conservation  
12 throughout the State that when that money comes into that  
13 account -- it's just one account at the Controller's  
14 Office.

15 And our Department has broken out sub-accounts  
16 so individual projects can be tracked separately within  
17 the Department. So that would be the likely mechanism to  
18 allow for that water -- that money to be received and  
19 also to be accounted for during the course of the year.

20 MS. LEIDIGH: Okay. And used for what? Are there  
21 specific things that it's capable of being used for?

22 MR. WERNETTE: It can be used, depending on the  
23 purposes of the receipt of the monies, for capital  
24 outlay, costs of purchasing lands. It could be used for  
25 capital outlay improvements, construction, and it also

CAPITOL REPORTERS (916) 923-5447

2121

1 can be used for, you know, operating expenses.

2 So it -- some of the monies we receive actually  
3 have very specific limits on what we can use it for. And  
4 if it's specified in the authorizing legislation, or in  
5 an agreement with a particular project component that  
6 would control how we would use that money. But once that  
7 money is in there if it doesn't have those restrictions  
8 those are the sort -- that's how we can spend it.

9 MS. LEIDIGH: Okay. I think that answers that  
10 question. My other question is: In your biological  
11 opinion you have a number of measures that you say are  
12 based on California Environmental Quality Act rather than  
13 the Endangered Species Act.

14 It appears to me that those are over and beyond  
15 the measures that you had for endangered species. Is  
16 there some reason why -- and it also appears to me that,  
17 and you can tell me if I'm wrong, that you believe that  
18 the CEQA requirements have a stricter standard than the  
19 CESA requirements.

20 MS. MURRAY: It's a little bit of a legal question.

21

22 MS. LEIDIGH: Well, I know. It's sort of a little  
23 mixed, but I'd like to have a answer to the best of his  
24 ability from his operating standpoint.

25 MR. WERNETTE: I'll do the best I can. The

CAPITOL REPORTERS (916) 923-5447

2122

1 criteria that we used for what qualified as a reasonable  
2 and prudent measure, we interpreted that criteria to be  
3 very -- very specific to -- obviously, to the listed  
4 species.

5 MS. LEIDIGH: Right.

6 MR. WERNETTE: And then we actually -- we had a  
7 fairly high standard from our Department's point of view  
8 as to what we could include as a reasonable and prudent  
9 measures. So when Barbara Brenner was describing, you  
10 know, how some things described in my first testimony, or  
11 provided on the terrestrial resources that some of those  
12 measures were moved from reasonable and prudent  
13 measures -- potential reasonable and prudent measures to  
14 conservation recommendations.

15 Those are the ones that did not meet that  
16 criteria, you know, from our Department's point of view  
17 as to what could qualify as a reasonable and prudent  
18 measure. In other words, necessary to reduce the adverse  
19 effects of take on those two species. So we made that as  
20 a first tier in terms of our decision process.

21 So the next question we asked ourselves was  
22 given our position on the project and the Delta and the  
23 aquatic resources in the Delta, do we believe that after  
24 we've done that are there still adverse effects --  
25 significant adverse effects on aquatic resources? And we

CAPITOL REPORTERS (916) 923-5447

2123

1 concluded that from our view, there were. So, hence,  
2 those measures that we felt would reduce those impacts to  
3 less than significant levels ended up going into that  
4 second set of recommendations.

5 MS. LEIDIGH: Okay. Is there some reason why those  
6 measures were included in the biological opinion instead  
7 of being included in a separate document?

8 MR. WERNETTE: I honestly -- you know, I don't -- I  
9 don't know that there's a specific reason that a separate  
10 document wasn't prepared. I think we thought it would be  
11 useful to include in one package those -- a combination  
12 of measures that we felt under both CEQA and CESA, both,  
13 fell to the endangered species that we were dealing with  
14 was reasonable to include in the same package as long as  
15 we were very clear that, you know, one satisfied CESA;  
16 and the other one was not required under CESA.

17 MS. LEIDIGH: Okay. You said at one point during  
18 your testimony I believe that -- that there's a higher  
19 standard that's required by CEQA for mitigation. Did you  
20 say that?

21 MR. WERNETTE: I don't recall.

22 MS. LEIDIGH: Something like that?

23 MR. WERNETTE: Saying higher standard compared to  
24 something else --

25 MS. LEIDIGH: Compared to CESA so far as your

CAPITOL REPORTERS (916) 923-5447

2124

1 mitigation measures.

2 MR. WERNETTE: I don't recall.

3 MS. LEIDIGH: You had some mitigation measures in  
4 your -- additional measures that looked like they were a  
5 more stringent mitigation than -- than the CESA measures.

6

7 MR. WERNETTE: That is correct.

8 MS. LEIDIGH: Okay. And they were based on the  
9 Environmental Quality Act?

10 MR. WERNETTE: That is correct.

11 MS. LEIDIGH: Okay. At some point whether you --  
12 you want to do it right now or some other time, I think,  
13 Ms. Murray, I'd like to have your legal analysis of why  
14 it is that the CEQA standards appear to be more stringent  
15 than the CESA standards.

16 MS. MURRAY: I don't think Frank said that. I  
17 think he said that first they looked at jeopardy and then  
18 they looked at take. And there were some residual  
19 effects which they then went and said, now to get these  
20 down to significant affects we have to do this. I don't  
21 believe he testified that there's a higher standard at  
22 CEQA than CESA.

23 I think he testified that the higher standard in  
24 CESA is jeopardy. But in my closing arguments I will  
25 address these levels, but I did want to clarify for the

CAPITOL REPORTERS (916) 923-5447

2125

1 record that I don't think he said that.

2 MS. LEIDIGH: Okay. I would like it if you would  
3 address this in your brief. I don't have anything else.  
4 I'll turn it over to Mr. Canaday.

5 HEARING OFFICER STUBCHAER: Okay. Mr. Canaday.

6 MR. CANADAY: My questions will go mainly to the  
7 terrestrial aspects of DO and some of the conditions in  
8 the biological opinion and then additional  
9 recommendations.

10 First of all just for clarification, the -- I'll  
11 ask Mr. Wernette this: You were the primary author of  
12 the biological opinion, Mr. Wernette?

13 MR. WERNETTE: Yes, I was.

14 MR. CANADAY: Okay. Is it your understanding that  
15 the recommendations and the findings in the CESA aspect  
16 of the biological opinion and the reasonable and prudent  
17 conditions, those are binding upon the lead agency? Is  
18 that your understanding?

19 MR. WERNETTE: There are -- I forget the exact  
20 language in CESA -- the sections of CESA that we're  
21 advising the Board. You know, our opinion to the Board  
22 is that we believe those are necessary to reduce the  
23 adverse effects of take. There are specific -- you know,  
24 the Board -- this is our opinion to the Board.

25 The Board doesn't blindly have to take those

CAPITOL REPORTERS (916) 923-5447

2126

1           recommendations. There are a specific language --  
2           there's specific language in the code, which I actually  
3           am not going to be able to quote to you, that under  
4           specific conditions, you know, there are -- there are  
5           other findings that the Board can make.

6           MR. CANADAY: And the additional conservation  
7           recommendations, those -- as a follow-up to Ms. Leidigh,  
8           those were made with a CEQA understanding; is that  
9           correct?

10          MR. WERNETTE: That's correct.

11          MR. CANADAY: Were those recommendations made  
12          during the comment period to the Draft EIR?

13          MR. WERNETTE: We didn't make those specific  
14          recommendations. In other words, we didn't include our  
15          additional conservation measures as additional specific  
16          criteria in our comment letter to the Board on the Draft  
17          EIR.

18          MR. CANADAY: But you're making them now in the  
19          basis as -- either as an advocate, or responsible agency  
20          under CEQA as to those recommendations?

21          MR. WERNETTE: That's correct.

22          MR. CANADAY: One of the points of discussion over  
23          the last couple days there's been one particular  
24          difference between the Federal opinion and the  
25          Department's opinion. And that dealt with the

CAPITOL REPORTERS (916) 923-5447

2127

1 compensation for the 50 acres of impact due to siphon --  
2 development of siphons and the pumps.

3 And there was some discussion, or questioning on  
4 what the difference was. And I'd like to ask you a  
5 question. The Department's position for the easement of  
6 200 additional acres and the enhancement or restoration  
7 is to achieve no net loss; is that correct?

8 MR. WERNETTE: That's correct.

9 MR. CANADAY: And that's the difference between  
10 your recommendation and U.S. Wildlife Service is that the  
11 Department doesn't recognize the conservation easement of  
12 an existing habitat as achieving no net loss; is that  
13 correct?

14 MR. WERNETTE: That's correct. Can I ask you a  
15 quick question, Jim, about the 50 acres that you  
16 described? I don't remember us discussing that to be  
17 honest with you, but I do remember us talking about the  
18 200 acres. There is an issue about the 50 acres that  
19 Fish and Wildlife Service is actually willing to accept  
20 construction impacts incorporated within the 200. NMFS  
21 and Fish and Game believes that -- once those actual  
22 impact acres are estimated and calculated that those will  
23 be mitigated separately.

24 MR. CANADAY: Okay. But the heart of my question  
25 is: There's a difference of how you weigh and measure no



1 net loss, or compensation?

2 MR. WERNETTE: Yes, I understand.

3 MR. CANADAY: Okay. I'm going to be referring to  
4 pages in the Department's biological opinion which is, I  
5 believe, Department Fish and Game's Exhibit 11. And  
6 first I would take you to page 37 which is the start of  
7 the findings by the Department. And I'll read slowly for  
8 the Court Reporter:

9 Based on the best available scientific  
10 information -- and I'm reading at the bottom of the page,  
11 the Department of Fish and Game finds that the project  
12 described in this biological opinion -- and this is the  
13 Delta Wetlands Project, including the habitat and  
14 management plan and the measures in the attached Federal  
15 biological opinion would not jeopardize the continued  
16 existence of the greater sandhill crane and the  
17 Swainson's hawk, or result in construction or adverse  
18 modification of the habitat essential to the continued  
19 existence of these species.

20 Having read that, I would like to take us to  
21 page 46 which is 7.0 which the header is "Management  
22 Measures and Monitoring of Sandhill Cranes and Swainson's  
23 Hawk." And the term that's in this particular -- under  
24 this heading under 7.1 is that -- and I'll read slowly:

25 Monitoring of sandhill cranes and Swainson's

CAPITOL REPORTERS (916) 923-5447

2129

1           hawks shall be conducted prior to the development of the  
2           habitat islands, or habitat management lands on Bouldin  
3           Island and Holland Tract and annually for five years  
4           after habitat is -- development is completed.

5                        And I don't -- I don't know of any controversy  
6           there that I'm aware of. What I'm interested in is the  
7           following sentence:

8                        A specific monitoring plan shall be developed  
9           for these species and provided to the Department of Fish  
10          and Game for review and written acceptance prior to the  
11          close of the hearing record in issuance of the Delta  
12          Wetlands water rights permits.

13                      In the Habitat Management Plan, which is part of  
14          the -- HMP that's been referred to, and I'm not sure -- I  
15          don't believe it has a specific exhibit number. It's an  
16          appendix to the Draft Environmental Impact Report. And  
17          I'm not sure what that number is.

18                      UNIDENTIFIED LADY:    C3.

19                      MR. CANADAY:    Pardon?

20                      UNIDENTIFIED LADY:    C3 --

21                      MR. CANADAY:    I know what appendix it is. I'm  
22          trying to figure out what exhibit number is. It's a  
23          staff exhibit, or is it a Delta Wetlands Exhibit?

24                      MR. SUTTON:    No, it's ours.

25                      MR. CANADAY:    Let me read to you what was in that

CAPITOL REPORTERS (916) 923-5447

2130

1 Habitat Management Plan and I'll ask you a question.

2 To ensure compliance with the California  
3 Endangered Species Act the Department of Fish and Game  
4 may require that monitoring be performed to confirm that  
5 the project impacts on greater sandhill cranes and  
6 Swainson's hawks are adequately offset by compensation.

7 The Department, therefore, may require the use  
8 of habitat islands by greater sandhill cranes be  
9 monitored after the project construction to determine  
10 whether use levels are, at least, as high as these levels  
11 before the project construction; and to provide  
12 information on how these species use the island habitats.

13 And I'll skip to another paragraph. And this  
14 will be the part to the heart of my question:

15 Monitoring requirements, performance standards,  
16 and potential remedial measures for greater sandhill  
17 cranes and Swainson's hawks will be developed by the Fish  
18 and Game in consultation with Delta Wetlands.

19 By reading that it's my understanding that the  
20 Department was going to provide the monitoring plan and  
21 the requirements in the monitoring plan to Delta  
22 Wetlands. Is that the intent of the Department, or if  
23 there's -- if there's an inconsistency with the issues in  
24 the BO, or the habitat management?

25 MR. WERNETTE: I agree, Jim, that is an

CAPITOL REPORTERS (916) 923-5447

2131

1           inconsistency. The relationship that we had during the  
2           development of the HMP was -- was one where if those  
3           specific areas of the HMP where the Department maybe had  
4           the -- had a pretty good handle on the requirements that  
5           we might have specific species knowledge that we would --  
6           we were working as a team. And people would be assigned  
7           tasks and work on them and bring them back to the team  
8           for review and adoption by the team. And the team  
9           included not just the consultants and the State Board's  
10          staff, but also Delta Wetlands.

11                        So in the content of that teamwork relationship  
12          I think that we were really anticipated it, envisioned in  
13          that plan that the Department take the first crack at  
14          drafting something like that, and bring it back to the  
15          team obviously with concurrence from the entire team,  
16          especially Delta Wetlands who would end up paying for it  
17          and be conditioned to perform that monitoring. I think  
18          that was what we envisioned at that time.

19                        MR. CANADAY: In lieu of the condition that's in  
20          the biological opinion, would it be preferable for the  
21          Department to develop that plan and bring it to Delta  
22          Wetlands at a later date?

23                        MR. WERNETTE: It, certainly, would seem like a  
24          reasonable approach. The way I would read the biological  
25          opinion it seems the people who would be out of

CAPITOL REPORTERS (916) 923-5447

2132

1 compliance would be us.

2 MR. CANADAY: That's part of my question.

3 MS. MURRAY: Well, no.

4 MR. CANADAY: Well, my question would be: If, in  
5 fact, there is a slight inconsistency here in common  
6 sense, or maybe the better sense would say that it ought  
7 to be the Department to make the first attempt at that,  
8 would it be -- is it -- is it -- can that be changed, or  
9 modified?

10 MR. WERNETTE: Well, I think, you know, I would --  
11 I can't answer that question specifically. It would  
12 require our Director's approval to do that. But it seems  
13 reasonable though that the language be clarified in terms  
14 of the format and who's going to perform the function of  
15 providing the first draft and the timing of that first  
16 draft would seem in order.

17 MR. CANADAY: Okay. Is that something that the  
18 Department is willing to pursue, the clarification and --

19 MR. WERNETTE: Yes.

20 MR. CANADAY: Thank you. Back with the biological  
21 opinion, again. On page 38 -- and this is just a  
22 clarification for myself. I'm reading under .3, it's the  
23 last sentence. It says:

24 The adverse impacts of the taking of these  
25 species incidental to the project will be minimized if

CAPITOL REPORTERS (916) 923-5447

2133

1 the measures specified in section, Roman numeral 9-B are  
2 fully implemented and adhered to.

3 That should be Roman numeral 9-A; is that  
4 correct?

5 MR. WERNETTE: That's correct.

6 MR. CANADAY: And there is no "B" within this  
7 particular document?

8 MR. WERNETTE: That's correct.

9 MR. CANADAY: I'm on page 44 now on .3.7 and this  
10 was part of the question that Ms. Leidigh had earlier on  
11 the \$75,000. And I'll state the same premise: That if  
12 the Board found that it had the authority to do that and  
13 required that, your testimony earlier, or response to  
14 Ms. Leidigh was that there are various, different types  
15 of accounts that the Department has to handle -- to  
16 accept that funding and disburse that funding.

17 If it were found by the Board that that \$75,000  
18 had to be in a specific account earmarked for the Delta  
19 Wetlands Project and that that money could only be spent  
20 on tasks relative to the monitoring of the Delta Wetlands  
21 Project, the Department would not have a problem with  
22 that?

23 MR. WERNETTE: We would not.

24 MR. CANADAY: Okay. I'm on page 47 now. And  
25 I'm on .7.3. And the essence of this particular point

CAPITOL REPORTERS (916) 923-5447

2134

1 deals with surveys, again, for Swainson's hawk. And it  
2 requires that these pre-construction surveys -- and they  
3 use the term to identifying information or accounting for  
4 monitoring Swainson's hawks numbers. And you've used the  
5 language "located in the project area."

6 And my question to you is: What will be  
7 considered the project area? Is it the Sacramento/San  
8 Joaquin Delta? Is it within a particular radius within  
9 the Delta those particular project islands? What will be  
10 the burden of the Applicant as far as the area to be  
11 surveyed?

12 MR. WERNETTE: Our intent with this was to look at  
13 the how the project was described, or estimate of how it  
14 would be construct -- or a view of how it would be  
15 constructed. We would envision that if, for instance, if  
16 the levee was the component of construction underway, it  
17 would be the levee systems and the immediate vicinity of  
18 those levee systems, say, you know, a few hundred yards  
19 away from that levee. Same thing for the siphon stations  
20 and pump stations those would be defined as the  
21 construction site, or the project site. And the data  
22 would be specific to those locations.

23 MR. CANADAY: Okay. On page 51, .11, which deals  
24 with the Black Rail. And it talks about surveys that  
25 need to be conducted .11.1. Now, first the tidal

CAPITOL REPORTERS (916) 923-5447

2135

1 influenced shore land margins with tules, cattails, and  
2 other types of vegetation. Is that -- when you're  
3 talking about tidal influenced shore lands are you  
4 talking about the tidal of influenced shore lands  
5 immediately around the islands, or were you thinking of  
6 an area larger than the project area to the immediate  
7 island?

8 MR. WERNETTE: We're thinking of those locations on  
9 the habitat in the immediate vicinity of the islands.

10 MR. CANADAY: Okay. On page 52 carrying on to page  
11 53, the biological opinion has identified particular  
12 conditions that the Board are required to undertake with  
13 this project. And a lot of these are in the form of a --  
14 of monitoring, or providing instruction to the  
15 construction crew about endangered species.

16 Is this something -- it gets back to my question  
17 to the \$75,000 and the position with the Department: Is  
18 that something that that person could do rather than  
19 requiring Board to allocate staff resources to do this  
20 for the project?

21 MR. WERNETTE: It is possible that that individual  
22 assigned could do that. It's -- it's typical that if  
23 this condition is made, the Board -- the Board could  
24 delegate that responsibility to the project, Delta  
25 Wetlands Project to ensure that that's accomplished.

CAPITOL REPORTERS (916) 923-5447

2136

1 MR. CANADAY: Okay.

2 MR. WERNETTE: And it -- there are situations, for  
3 instance, where we have contracts with the Department of  
4 Water Resources for -- to assist them in the operation of  
5 maintenance, for instance, of the aqueduct where Fish and  
6 Game staff, actually on occasion, do perform these  
7 orientation meetings for DWR. Often they're actually  
8 with the environmental specialist with the DWR. So it  
9 wouldn't be unusual for us to do this.

10 MR. CANADAY: Thank you. Okay. I'm sure we could  
11 find Board staff that would like to be out on the project  
12 islands.

13 HEARING OFFICER STUBCHAER: Maybe even Board  
14 Members.

15 MR. CANADAY: Now, I'd like to talk about some of  
16 the -- on page 72 additional conservation measures. And  
17 I'll read the first paragraph under that particular  
18 header, which is Roman numeral 11 entitled "Additional  
19 Conservation Measures."

20 Under CESA it is incumbent on all State agencies  
21 to seek to preserve endangered and threatened species.  
22 The following measures will not require pursuant to the  
23 Department of Fish and Game Code Sections 2090-2092 are  
24 recommended as additional conservation measures to be  
25 implemented, or imposed by the State Water Resources

CAPITOL REPORTERS (916) 923-5447

2137

1 Control Board in furtherance of the purpose of CESA. The  
2 biological basis for these recommendations will be  
3 provided in the water rights hearing.

4 And that will lead me to my question. And my  
5 area of interest is on page 75, .3.0, measures to reduce  
6 additional -- incidental take in the project service  
7 areas. And I'll paraphrase this term. It -- the term  
8 that's recommended under 3.0 is that Delta Wetlands will  
9 generate annual funds based on the amount of water that  
10 they divert. Is that correct?

11 MR. WERNETTE: That's correct.

12 MR. CANADAY: And the purpose of this particular --

13 MR. WERNETTE: Can I clarify something, Jim?

14 MR. CANADAY: Sure.

15 MR. WERNETTE: Actually, it's not so much the water  
16 that they divert, it's the amount that they export.

17 MR. CANADAY: Okay. That's one of my questions.  
18 And I'll clarify that one now. So, any water that the  
19 Delta Wetlands would divert and store for later  
20 environmental enhancement water, they would not be  
21 charged this particular fee --

22 MR. WERNETTE: That's correct.

23 MR. CANADAY: -- for that water?

24 MR. WERNETTE: That's correct.

25 MR. CANADAY: Okay. But stepping back, there is,

CAPITOL REPORTERS (916) 923-5447

2138

1 in fact, a fund that will be generated by the amount of  
2 water that Delta Wetlands would divert and would export,  
3 and by -- export either through the State Water Project,  
4 or the Federal project; is that correct?

5 MR. WERNETTE: That's correct.

6 MR. CANADAY: And the -- and would you briefly  
7 summarize the -- the purpose of how this money will be  
8 used, this particular fund?

9 MR. WERNETTE: Well, the fund would -- when the  
10 monies are collected would, in our view, be used to  
11 assist in the planning process -- for number of various  
12 reasons. One is to assist in the planning process in  
13 some cases that are already underway in communities south  
14 of the Delta that received State Water Project water, or  
15 CVP water.

16 To advance the conservation planning, the  
17 habitat conservation planning, or NCCP efforts that are  
18 currently underway so that those planning efforts  
19 successfully conclude and provide mechanisms to, you  
20 know, to allow for the protection of endangered species  
21 in the service areas. And in addition to that, you know,  
22 So that the developments that are proposed down there can  
23 move forward with some certainty.

24 If there were planning processes that have been  
25 completed, those all set up plans for implementation.

CAPITOL REPORTERS (916) 923-5447

2139

1           And some of these funds then could be used for actual  
2           implementation. In some cases there are identified Corp  
3           areas that are very critical that when funds became  
4           available they could go to the purchase of those Corp  
5           areas and may be used to leverage some of the funding  
6           that's being provided through the habitat conservation  
7           planning process there, depending where -- what service  
8           area is being affected.

9           MR. CANADAY: The point of my question is that you  
10          said within the service areas of where this water would  
11          be delivered. Aren't there -- and I'm not disputing the  
12          benefits that this money could be put to, generally, but  
13          the heart of my question is: Isn't this, in fact, a  
14          responsibility of Delta Wetlands if, in fact, there are  
15          service areas that are receiving water, whether it's  
16          State Project water, Federal Project water, and they have  
17          their own planning and permitting processes that they  
18          have these plans already underway, is it -- is it truly  
19          Delta Wetlands responsibility to make these plans come  
20          about? And the nexus being some impact that is  
21          attributable to Delta Wetlands? Is that what the  
22          Department believes is the responsibility of Delta  
23          Wetlands?

24          MR. WERNETTE: That -- I think it's an excellent  
25          question. It's within -- the Department has looked at

CAPITOL REPORTERS (916) 923-5447

2140

1           this issue, I think, for the most part that you made  
2           about, okay, who's responsible for the development of  
3           these plans? Who's responsible for the impacts that  
4           occur, the site specific impacts that occur?

5                         And typically the burden of developing these  
6           plans and implementing the plans have fallen on  
7           developers who are proposing commercial, or residential  
8           development in the service areas. And, certainly, that's  
9           where the main motivation has been for the development of  
10          these plans and for the implementation of the plans.

11                        The Department views it, however, that there are  
12          a number of factors that influence development, or change  
13          land use practices throughout California. It isn't just  
14          a developer who wants to develop a residential area.  
15          There are services that have to be provided to that.

16                        So when you look at the share -- what we  
17          considered the shared responsibility, not the only  
18          responsibility, but the shared responsibility that people  
19          who -- or companies that provide power, transportation  
20          access, and water supplies that those together contribute  
21          to, or -- to the growth inducement in a particular  
22          location, but clearly, you know, that isn't just their  
23          responsibility.

24                        So we view it as in our -- this specific  
25          recommendation as being a fair approach at describing

CAPITOL REPORTERS (916) 923-5447

2141



CAPITOL REPORTERS (916) 923-5447

2142

1           those supplies are firmed up people are more comfortable  
2           with allocating those supplies both for maybe more  
3           permanent crops types that could be of less value to  
4           wildlife, or firm up supply sufficiently that the local  
5           planning agencies are willing to allow a development to  
6           move forward that couldn't before.

7                        So I think you bring up an excellent point that  
8           in this world where there was in the December '94 Accord  
9           an identified reduction in water supplies, that if this  
10          just brings us back some incremental amount toward that,  
11          under that specific example it may be difficult to  
12          identify any new water supplies that could encourage  
13          development.

14                       HEARING OFFICER STUBCHAER:  So would that  
15          consideration result in any modification of the  
16          recommendation?

17                       MR. WERNETTE:  Well, I think that -- I personally  
18          don't think it would.  We don't know how this water will  
19          be used in the context of the '94 Accord, nor how it  
20          might be used in the context of other water supply  
21          advancements that occur under the CAL/FED Bay-Delta  
22          Program.  And, you know, if a temporary, you know,  
23          retreat in terms of water supplies on the Accord, we  
24          actually hope that we firm those supplies up and actually  
25          improve supplies in the Bay-Delta Program.

CAPITOL REPORTERS (916) 923-5447

2143

1                   So we're taking a longer term view, not just a  
2                   view of what's going to happen between now and 1994 -- or  
3                   what happened between now and 1994 and the next few  
4                   years. We're taking a look into the future where this  
5                   project's water supply benefits added to what CAL/FED is  
6                   going to be doing, you know, adds a small increment of  
7                   water supply.

8                   HEARING OFFICER STUBCHAER: Mr. Canaday.

9                   MR. CANADAY: My last question, Mr. Wernette. The  
10                  mitigation, the habitat islands are -- restating the  
11                  obvious, are developed because of the impacts of the  
12                  reservoirs islands; is that correct?

13                  MR. WERNETTE: That's correct.

14                  MR. CANADAY: Therefore, in any future water rights  
15                  permit should the Board approve a permit that a way needs  
16                  to be developed that should any future successor to the  
17                  reservoir islands, the responsibility for the habitat, or  
18                  the restoration, or mitigation islands needs to be linked  
19                  to that particular water right.

20                  Is that the opinion of the Department?

21                  MR. WERNETTE: It is our opinion that the continued  
22                  management of those habitat islands needs to be assured  
23                  in some manner, whether it is the person -- if the  
24                  reservoir islands are transferred, whether it's that  
25                  specific entity that manages the habitat islands, we

CAPITOL REPORTERS (916) 923-5447

2144

1 don't have an opinion on that. But we do an opinion that  
2 the habitat islands continue to be managed as long as the  
3 project is operated.

4 MR. CANADAY: Okay. Finally, yesterday we heard  
5 testimony from a representative of Caltrans. And one of  
6 their interests was the future potential opportunity to  
7 enlarge across Bouldin Island Highway 12. Do you  
8 remember -- were you here for that testimony?

9 MR. WERNETTE: Yes, I was.

10 MR. CANADAY: Is it -- would it be the Department's  
11 opinion that if, in fact, that 100-foot movement of, at  
12 least, a proposed habitat management plan could be made  
13 and that compensation for any acreage required by the HMP  
14 could be accomplished with the exclusion of this 100-foot  
15 buffer, the Department would not oppose that particular  
16 adjustment, would you agree with me?

17 MR. WERNETTE: I would agree with you, we would not  
18 oppose that judgment.

19 MR. CANADAY: Thank you.

20 HEARING OFFICER STUBCHAER: Thank you, Mr. Canaday.  
21 Mr. Cornelius?

22 MR. CORNELIUS: No.

23 HEARING OFFICER STUBCHAER: And, well, I only have  
24 one more question: How big is a giant guarder snake?

25 MR. WERNETTE: It's not as big as you might think.

CAPITOL REPORTERS (916) 923-5447

2145

1 I don't remember the specifics, but I think if it was,  
2 you know, between 20 and 30 inches it might be a trophy  
3 giant guarder snake.

4 MR. CORNELIUS: A trophy.

5 HEARING OFFICER STUBCHAER: Is that in diameter, or  
6 circumference? Okay. All right. That concludes the  
7 cross-examination. Do you have redirect --

8 MS. MURRAY: Yes, I do.

9 HEARING OFFICER STUBCHAER: -- Ms. Murray?

10 MS. MURRAY: Yes. First Frank. Was the M Salmon  
11 Model created by Jones and Stokes?

12 MR. WERNETTE: Yes, it was.

13 MS. MURRAY: Did DFG do anything more to the M  
14 Salmon Model rather than report monthly averages rather  
15 than annual averages?

16 MR. WERNETTE: We didn't do anything more than  
17 that. The only other thing we did was to take that data  
18 and in some cases rank those data. So in some cases  
19 develop information on percent changes that we had to  
20 calculate separately from that, but the actual output was  
21 as you described.

22 MS. MURRAY: Did DFG ask Mr. Shaul to provide  
23 monthly output rather than average annual?

24 MR. WERNETTE: Yes, we did.

25 MS. MURRAY: Did he?

CAPITOL REPORTERS (916) 923-5447

2146

1           MR. WERNETTE: No, he did not except in an electric  
2           format he did, because the modeling output comes out in  
3           that format. As far as providing it in a written form,  
4           or written reports, no.

5           MS. MURRAY: Is that why DFG generated the monthly  
6           output using Shaul's model?

7           MR. WERNETTE: Yes, it is.

8           MS. MURRAY: In your opinion was DFG's use of the  
9           Jones and Stokes output inappropriate?

10          MR. WERNETTE: It was not inappropriate.

11          MS. MURRAY: After the DO was completed on  
12          June 16th, was there time before the testimony was due  
13          for this hearing to have Jones and Stokes run another  
14          model run similar to that in Table 5 of DW-5?

15          MR. WERNETTE: No. There wasn't.

16          MS. MURRAY: One last question: Mr. Sutton asked  
17          you some questions regarding the amount of water that  
18          might be carried over the environmental water. Do you  
19          recall that?

20          MR. WERNETTE: Yes, I do.

21          MS. MURRAY: Isn't it part of the proposal that the  
22          environmental water be released in the same water year  
23          that it was taken?

24          MR. WERNETTE: That's correct. I think -- I think  
25          there were a couple of questions that I went over to on

CAPITOL REPORTERS (916) 923-5447

2147

1 with Mr. Sutton. And one of them was the hypothetical  
2 that he described where we might be limited -- where  
3 there might be some restrictions on the ability to  
4 release that environmental water.

5 And it really is a use-it or lose-it  
6 proposition. So that at the end of September and at the  
7 end of the water year if it hasn't been used for  
8 environmental purposes, we've lost control of that water,  
9 or the ability to request its release.

10 MS. MURRAY: Jim, question for you. The data that  
11 you E-mailed to Delta Wetlands last night, did all of  
12 that data originally come from Jones and Stokes?

13 MR. STARR: Yes.

14 MS. MURRAY: Thanks. That's all. Dale, Mr. Nelson  
15 asked you about this year's 20 millimeter survey and  
16 pointed out that last year's fall midwater trawl index is  
17 less than 239. Do you recall that?

18 MR. SWEETNAM: That is correct.

19 MS. MURRAY: And that -- he mentioned that,  
20 therefore, diversions for protections would be in place  
21 this year.

22 MR. SWEETNAM: Yes. Yes, he did.

23 MS. MURRAY: Okay.

24 MR. SWEETNAM: I'm looking for the pointer.

25 MS. MURRAY: Oh, the pointer. Jim, you have it.

CAPITOL REPORTERS (916) 923-5447

2148

1           Okay.  Why do you think that Delta smelt might still be  
2           vulnerable?

3                       MR. SWEETNAM:  We're still in the same problem in  
4           that we go back to the last year's index, which was less  
5           than the 239.  If you look on the table over here for  
6           1996 is 128 --

7                       HEARING OFFICER STUBCHAER:  Identify.

8                       MR. SWEETNAM:  Excuse me.  Fish and Game Exhibit 9,  
9           Figure 3 page 26.  Where the 1996 data would be under the  
10          239 protection level.  So there was increased  
11          protections, basically, reducing the diversions from  
12          February through June.

13                      The problem is that we're still -- you can leave  
14          that there.  We're still basing our decision on last  
15          year's index, which I tried to show that there was still  
16          no relationship between -- between years.  If you look at  
17          the 1990s, it was basically a one in two chance that you  
18          would be under 239.  And if you look at all the years,  
19          it's basically a one in four chance, or one in five  
20          chance that you're going to have those protections  
21          invoked.  But there's no direct relationship between  
22          years.

23                      The other problem is that with the data that I  
24          showed for this year in the current -- in the  
25          environmental -- in the EIR/EIS Jones and Stokes assumes

CAPITOL REPORTERS (916) 923-5447

2149

1           that there's -- you can go ahead and put that up, that in  
2           the Central Delta -- this is Figure 5-10 from Delta  
3           Wetlands EIR/EIS, Appendix 2, again, maybe Appendix F2,  
4           that there's 16 percent of Delta smelt respond in the  
5           Central Delta.

6                         This year we had an exception where it may be  
7           over 50 percent in the Central Delta which would greatly  
8           magnify the model run which, you know, this is out of the  
9           ordinary given that, but it may magnify and increase the  
10          amount of take both at the State and Federal water  
11          facilities and at the Delta Wetlands diversions.

12                        MS. MURRAY: Okay. Is that it?

13                        MR. SWEETNAM: Yes.

14                        MS. MURRAY: Mr. Sweetnam, you were also asked a  
15          question about your criticism of the monitoring program  
16          and whether you attended a meeting regarding the proposed  
17          monitoring. Do you recall that?

18                        MR. SWEETNAM: I did.

19                        MS. MURRAY: Why don't you believe that the  
20          proposed monitoring program will work?

21                        MR. SWEETNAM: The way the proposed monitoring is  
22          in the Delta Wetlands final operation -- final operating  
23          criteria is that it calls for a 50-percent reduction if  
24          Delta smelt are observed the day before. So within one  
25          day you are going to reduce diversions by 50 percent.

CAPITOL REPORTERS (916) 923-5447

2150

1                   The problem is that that can't be done right  
2                   now. We are monitoring North Bay aqueduct, a DWR  
3                   diversion in the northern Delta. And we -- we take,  
4                   basically, 72 hours to identify larval Delta smelt. It  
5                   takes that long to take the sample, sort the sample,  
6                   process the sample, identify all the larvae in there and  
7                   then say whether there's Delta smelt present or not. It  
8                   basically takes three days to do that process. And  
9                   currently there are only two parties that are able to  
10                  identify larval Delta smelt at this time. More can be  
11                  taught how to identify larval smelt, but it's a long  
12                  involved process.

13                  It's a problem that also comes up in that if you  
14                  reduce the amount of pumping by 50 percent, you may have  
15                  already entrained those planktonic larvae which are  
16                  moving with that body of larvae towards the facility and  
17                  have a problem with that, at least, to indirect effects.  
18                  That's it.

19                  MS. MURRAY: That all?

20                  MR. SWEETNAM: Yes.

21                  MS. MURRAY: Okay. Debra.

22                  MS. McKEE: Yes.

23                  MS. MURRAY: You testified on direct -- or on  
24                  cross, sorry, that juvenile winter-run primarily enter  
25                  the Delta through the Delta Cross Channel and Georgiana

CAPITOL REPORTERS (916) 923-5447

2151

1 Slough. Do you recall that?

2 MS. McKEE: Yes, I do.

3 MS. MURRAY: Where else do juvenile Delta salmon  
4 enter the Delta?

5 MS. McKEE: We believe they can enter the Delta at  
6 Three Mile Slough and the Lower San Joaquin as well.

7 MS. MURRAY: You testified that we don't have a  
8 quantitative index for the number fish entering the Delta  
9 through the Lower San Joaquin River, or Georgiana Slough,  
10 and Three Mile Slough. Do you recall that?

11 MS. McKEE: Yes.

12 MS. MURRAY: Is it your opinion that Shaul's  
13 exclusion of these areas from his mortality model due to  
14 lack of index data is a valid reason to exclude those  
15 areas?

16 MS. McKEE: No.

17 MS. MURRAY: Is that why you did a more qualitative  
18 analysis in preparing your testimony?

19 MS. McKEE: Yes, it is.

20 MS. MURRAY: Does Shaul's mortality index address  
21 adult winter-run?

22 MS. McKEE: Not in terms of the mortality model,  
23 no.

24 MS. MURRAY: Okay. There was some discussion on  
25 averaging during direct testimony. What is your

CAPITOL REPORTERS (916) 923-5447

2152

1           understanding of how Delta Wetlands average annual  
2           impacts?

3           MS. McKEE:  If I may use the talking point.  
4           Actually, it's one of their exhibits.

5           MS. MURRAY:  Please, identify this.

6           MS. McKEE:  This is Table 3B in Mr. Shaul's  
7           testimony, DW --

8           MS. MURRAY:  15.

9           MS. McKEE:  -- 15.  It's in several different  
10          exhibits.

11          MS. MURRAY:  Is this also out of 5?

12          MS. McKEE:  It's also out of 5.

13          MS. MURRAY:  Table 3B to Delta Wetlands Exhibit 5.

14          MS. McKEE:  One of the difficulties that we had in  
15          interpreting the data and what we did differently is we  
16          looked at the actual years that the project was in  
17          operation.  If you'll look at these columns you'll notice  
18          that at the bottom these numbers are actual averages,  
19          including the years in which the project is not in  
20          operation.

21                    And so it averages in all of these zeros.  And  
22          as a result it gives you a very low overall average for  
23          the seven-year period of record, which we didn't find as  
24          a valid way of trying to represent the actual impacts to  
25          a biological organism for a given year.  And what we

CAPITOL REPORTERS (916) 923-5447

2153

1 wanted to see was what was the range in terms of impacts  
2 in a given year.

3 So that is how we analyzed, for instance, we  
4 started to talk yesterday about my Table 4, how we look  
5 at monthly export changes. This is just a lotus  
6 spreadsheet printout with the exact same data. And it  
7 shows you when you have all of the years in operation,  
8 including the non-operational years you have all of these  
9 zero exports. Okay. The second picture.

10 HEARING OFFICER STUBCHAER: Should we identify  
11 that?

12 MS. MURRAY: Probably.

13 MS. McKEE: I guess we could.

14 MR. NELSON: Mr. Stubchaer, are we going to be  
15 provided copies?

16 MS. BRENNER: We've never seen those.

17 MS. MURRAY: Yes, we have copies.

18 HEARING OFFICER STUBCHAER: Are they two separate  
19 tables?

20 MS. LEIDIGH: No.

21 MS. MURRAY: It didn't all fit.

22 MR. SUTTON: DFG 16 and 17.

23 MS. MURRAY: All right.

24 MS. McKEE: They wouldn't all fit on the same one.  
25 So to the summary table where it shows the maximum, the

CAPITOL REPORTERS (916) 923-5447

2154

1 minimum, and the averages, shows pre-project conditions,  
2 condition as conditioned by the CESA biological opinion,  
3 maximum averages for the export values, and the actual  
4 percent change that occurred. You see these grand  
5 averages, you end up with a minimum value of zero percent  
6 change. A maximum of -- a maximum of 11.8 and an average  
7 of 1.4 percent change.

8 This is the exact same table only what we've  
9 done is we've taken out all of the years when the project  
10 was not in operation --

11 MS. MURRAY: And for identification we'll label  
12 this DFG 17.

13 MS. BRENNER: Do you have copies of that?

14 MS. MURRAY: Yes.

15 MR. STARR: Ready for the next one?

16 MS. MCKEE: Yes. And as you can see you have  
17 different averages here as far as what is the maximum  
18 export rate, minimum average, and the same thing in terms  
19 of percent change under the biological opinion.

20 We felt that this approach was more valid. So  
21 what we did is we took what happens in seven years of  
22 operation without the project, we looked at what was the  
23 average, the maximum, and the minimum. Then we looked at  
24 what was the range in terms of changes under project  
25 operations, and we looked at what was the percent change

CAPITOL REPORTERS (916) 923-5447

2155

1 from pre-project conditions. This is, again, the exact  
2 same table, only what we've done is eliminated every year  
3 in which --

4 HEARING OFFICER STUBCHAER: Ms. Murray?

5 MS. MURRAY: And for the record this is DFG 18.

6 MS. LEIDIGH: We need copies of that.

7 MS. MCKEE: I'm flashing my button here. This is  
8 exactly the same information only we removed all the  
9 years in which there was no operation to make it easier  
10 to view. And what's very important, that we would like  
11 to point out that hasn't been done in any of the analyses  
12 is we looked at what were the impacts occurring and in  
13 what type of a water year.

14 I think that this would be very informative to  
15 the Board that they look at this information in this  
16 manner, but it would show in April, which is a very  
17 critical month, that the majority of exports will be  
18 occurring in the dry and below normal years, in critical  
19 years. And, of course, those are years in which we would  
20 expect to have greater overall impacts to these species  
21 we've been speaking about.

22 So, on summary, what I would recommend is that a  
23 lot of data which we have been looking at has been  
24 averaged in a multitude of different ways in order to  
25 represent information. I think that taking a look at

CAPITOL REPORTERS (916) 923-5447

2156

1           what were the conditions in the pre-project operation and  
2           looking at the ranges of conditions specific to given  
3           months that would occur by water year type would really  
4           provide the Board the kind of information that they're  
5           going to need in order to finish assessing this project.  
6           And these are models that were performed for the Board.

7                       Also, I think I spoke just a few minutes earlier  
8           that a model should probably be run to reflect the final  
9           CESA biological opinion, since there were some slight  
10          changes so that you could be confident that it's the best  
11          information available.

12                      I hope that helps clarify exactly that  
13          information on how did we average our information.

14                      MS. MURRAY: Debra, one last question: On direct  
15          you testified regarding the conservation recommendations  
16          and the Federal biological opinion. Do you recall that?

17                      MS. McKEE: Yes, I do.

18                      MS. MURRAY: Is it your understanding that the  
19          conservation recommendations in the Federal opinions are  
20          project specific?

21                      MS. McKEE: Yes, they are.

22                      MS. MURRAY: What is the basis for that  
23          understanding?

24                      MS. McKEE: Under Federal EFA, I believe Section  
25          2(c), defines exactly what conservation measures are and

CAPITOL REPORTERS (916) 923-5447

2157

1           their purpose.  And I had the good fortune of speaking  
2           with Mr. Jim Monroe who is with the Army Corp of  
3           Engineers.  And I went out on break and I asked him and  
4           he did clarify for the record that the Federal  
5           conservation measures are project specific.

6                     MS. MURRAY:  Okay.  Alice --

7                     MR. NELSON:  Mr. Stubchaer, I would like to object  
8           to that question and the answer and say that Ms. Murray  
9           can simply provide and brief this issue as to what  
10          conservation measures and conservation recommendations  
11          provide in the ESA Federal Act and speak to it very  
12          clearly, instead of reporting a hearsay conversation from  
13          Mr. Monroe who is with the Army Corp of Engineers.  It  
14          would be a lot more useful to have this issue briefed  
15          rather than to have these types of discussions going on  
16          as to what is and isn't in the --

17                    HEARING OFFICER STUBCHAER:  Is your objection just  
18          to the contact during the break, or to the previous  
19          discussion?

20                    MR. NELSON:  My objection is to the -- her  
21          assertion as to -- if she wants to rephrase it as:  It is  
22          her understanding of what the conservation  
23          recommendations are, I would accept it then.  But not as  
24          to a flat statement that that is what the ESA says.

25                    MS. MCKEE:  I have no problem saying it's my

CAPITOL REPORTERS (916) 923-5447

2158

1 opinion. I admitted earlier that I'm not an attorney.

2 HEARING OFFICER STUBCHAER: That's fine.

3 MS. MURRAY: Alice, isn't it true that the  
4 Department of Fish and Game recommended temperature  
5 criteria that do not limit temperature increases to one  
6 degree less than 58, but allows up to a four degree  
7 increase not to exceed 58 degrees?

8 DR. RICH: That's correct.

9 MS. MURRAY: You mentioned in your  
10 cross-examination that there's very little information  
11 about adults with eggs travelling through the Delta. Is  
12 it your opinion that eggs are not affected by -- by  
13 temperature while travelling through the Delta --

14 DR. RICH: No.

15 MS. MURRAY: -- to adults?

16 DR. RICH: No, they are affected by any source of  
17 stress, whether it's thermal or any other kind of stress.

18

19 MS. MURRAY: That concludes redirect.

20 HEARING OFFICER STUBCHAER: All right. Is there  
21 going to be any recross-examination?

22 MS. BRENNER: Could we have a few minutes,  
23 Mr. Stubchaer?

24 HEARING OFFICER STUBCHAER: We'll do it after  
25 lunch.

CAPITOL REPORTERS (916) 923-5447

2159

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MS. BRENNER: Thank you.

HEARING OFFICER STUBCHAER: We'll reconvene at ten  
minutes of 1:00.

(Luncheon recess.)

---oOo---

CAPITOL REPORTERS (916) 923-5447

2160

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

WEDNESDAY, JULY 30, 1997, 12:53 P.M.

CAPITOL REPORTERS (916) 923-5447

2160

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

SACRAMENTO, CALIFORNIA

---oOo---

HEARING OFFICER STUBCHAER: We'll reconvene the hearing. This is recross-examination of the redirect testimony by the Department of Fish and Game. And as a reminder recross is limited to the scope of the direct. Who's going to examine for Delta Wetlands?

---oOo---

RE-CROSS-EXAMINATION OF DEPARTMENT OF FISH AND GAME

BY DELTA WETLANDS PROPERTIES

BY JOSEPH NELSON

MR. NELSON: I am. I have a couple questions for Ms. McKee. You were asked to explain why you used the ten years out of the ten worse years -- the highest impact years in your analysis rather than a full seven year analysis.

Isn't it true that Jones and Stokes looked at the effect of the --

MS. MURRAY: Excuse me, that was not part of redirect.

HEARING OFFICER STUBCHAER: There was testimony showing the ten years on redirect. There was an exhibit that went up there that showed the ten years. But the statement that you referred to, Mr. Nelson, I think was from the direct.

CAPITOL REPORTERS (916) 923-5447

2161

1           MR. NELSON: I will confine it to the table which  
2 she provided which is the averages of actual operating  
3 months in which she shows 19 years in which Delta  
4 Wetlands discharges for export in April. It's DFG 18.

5           Can you -- is it your testimony that these are  
6 the only years that should be analyzed when looking at  
7 the affects of the project in April?

8           DR. McKEE: It depends upon what parameter you're  
9 trying to evaluate. And the purpose of this overhead was  
10 to just show all of the years in which you were exporting  
11 in the month of April. There are other -- actually,  
12 yeah.

13           There are months also in this column when you  
14 are doing releases for outflow and there are other months  
15 which are not shown, because they weren't relevant,  
16 necessarily, to the export information that I was talking  
17 about. So obviously if you were going to look at the  
18 affect of release of outflow you'd need to look at all of  
19 the years in which you were making release for outflow.

20           However, when I looked at the data I did not use  
21 this number here which is the average only of the exports  
22 under pre-project conditions for the years you might  
23 predict you might do additional exports. I used the  
24 seven year record. And I was simply using this to show  
25 how -- depending on how you wanted to average your data

CAPITOL REPORTERS (916) 923-5447

2162

1           how you could have dramatic changes in your formula.

2                   HEARING OFFICER STUBCHAER: I know we --

3                   MR. NELSON: It is DFG 18.

4                   HEARING OFFICER STUBCHAER: All right. Thank you.

5                   Ms. McKee, is it your testimony that you don't  
6           need to look at all 70 years when analyzing discharge  
7           affects for the project in April?

8                   DR. McKEE: No.

9                   MR. NELSON: Did you -- does that table include  
10          what Delta Wetlands discharges would be under the final  
11          operations criteria?

12                  DR. McKEE: This is under the terms of the State  
13          Biological Opinion.

14                  MR. NELSON: Did you -- in preparing this chart did  
15          you consider what Delta Wetlands' discharges for export  
16          in April are under the final operation's criteria?

17                  DR. McKEE: Yes. There is another set of data that  
18          was provided by the consultant to the Board, Jones and  
19          Stokes, which is the ESA table and it's exactly the same  
20          spreadsheet, but it just shows project affects under the  
21          final operations criteria.

22                  MR. NELSON: Are you aware that out of 19 years  
23          that you noted that Delta Wetlands is discharging for  
24          export under the final operations criteria Delta  
25          Wetlands's discharges for export -- excuse me, under the

CAPITOL REPORTERS (916) 923-5447

2163

1 final operations criteria Delta Wetlands is discharges  
2 for export in 14 of those 19 years would be exactly the  
3 same as those discharges for export under the CESA  
4 Biological Opinion?

5 DR. McKEE: I don't have a table in front of me.  
6 So I would have to take your statement as true and  
7 correct, but I can't -- I can't say anything without  
8 seeing the tables side-by-side.

9 MR. NELSON: And when you -- you put in the  
10 water-year type in those months, right, in the CESA the  
11 middle column. Did you look in developing this chart and  
12 actually putting in the actual outflow for April in those  
13 years?

14 DR. McKEE: Warren Shaul created this data. All of  
15 this is just printing off a couple of columns. And all  
16 of this information was put in there by Jones and Stokes.  
17 I'm just printing off a couple of columns to show you.

18 MR. NELSON: And in analyzing the project over a  
19 seven-year period for the month of April, or any other  
20 month, in looking at the affects of the project is it  
21 necessary to look at other parameters such as outflow and  
22 other hydrologic conditions to determine what the actual  
23 affects are?

24 DR. McKEE: We looked at outflow, inflow, Old and  
25 Middle River flows, Q West, exports, percent of

CAPITOL REPORTERS (916) 923-5447

2164

1 Sacramento River diverted, percent East Side of channels  
2 diverted, all of the information that Jones and Stokes  
3 provided in this spreadsheet.

4 And, yes, we looked at all of them together. We  
5 did not just look at one parameter in isolation by  
6 itself. And we also looked at the relevant frequency of  
7 this project's operation both under terms of the State's  
8 Biological Opinion and the Federal Biological Opinion.

9 MR. NELSON: In -- in relation to the relative  
10 frequency when Delta Wetlands is actually diverting, or  
11 actually discharging, did you then compare that to the  
12 outflow and hydrologic conditions that exist when those  
13 operations are occurring? For example, in 1957 did you  
14 look at what the outflow was when those exports were  
15 occurring?

16 DR. McKEE: Yes.

17 MR. NELSON: Did you consider that an important  
18 parameter to look at instead of simply looking at the  
19 percent change in the actual exports that occurs?

20 DR. McKEE: I believe that the purpose of my  
21 testimony with these charts was to discuss averaging  
22 periods. And I was not discussing the relevancy of any  
23 given parameter to other parameters that I didn't present  
24 on this table at this time.

25 MR. NELSON: Is it your understanding that -- I

CAPITOL REPORTERS (916) 923-5447

2165

1 will go back then to my last question: Is it your  
2 understanding that Delta -- that -- I'm trying to format  
3 this the right way.

4 In developing the averages and looking at a  
5 70-year period, do those averages, whether they are taken  
6 on a month-by-month basis, a year basis, or some other  
7 averaging period; isn't it true that they have to be  
8 taken into context of what other overall conditions  
9 exist?

10 DR. MCKEE: Yes. I think that was the purpose of  
11 my pointing out that I believe that it would be more  
12 informative to the Board and to Mr. Stubchaer if this  
13 information was broken out also by water-year type to  
14 show when operations might occur.

15 And, certainly, when you look at things  
16 according to water-year type, you would be getting that  
17 flavor for what were the outflow conditions like relative  
18 to the changes in lower San Joaquin River flows, relative  
19 to the percent of Sacramento River inflow by water-year  
20 type. So, obviously, there might be a greater impact  
21 with a smaller change in one of these parameters if it's  
22 a dry year than with a larger change in a wet year.

23 MR. NELSON: Isn't it true that even given those  
24 parameters classifying the water-year type that water  
25 availability, outflows, and hydrologic conditions can

CAPITOL REPORTERS (916) 923-5447

2166

1 vary month-to-month even in a certain water year?

2 DR. McKEE: I would have to take your word for  
3 that. I'm not a hydrologist, but just as a human being  
4 I've seen that occur, just like the March miracle.

5 MR. NELSON: Thank you. I have no other questions.

6

7 HEARING OFFICER STUBCHAER: Okay. Anyone else  
8 other than staff?

9 Mr. Moss.

10 MR. MOSS: Richard Moss for PG&E. Mr. Stubchaer,  
11 if I could just go off the record for a moment.

12 MR. STUBCHAER: Yes.

13 (Off the record from 1:04 p.m. to 1:05 p.m.)

14 ---oOo---

15 RECROSS-EXAMINATION OF DEPARTMENT OF FISH AND GAME

16 BY PACIFIC GAS AND ELECTRIC

17 BY RICHARD MOSS

18 MR. MOSS: I have a few questions for  
19 Dale Sweetnam, please, on your favorite subject, Delta  
20 smelt. Is it your testimony, Mr. Sweetnam, that it is  
21 presently impossible to do accurate realtime monitoring  
22 for Delta smelt larvae?

23 MR. SWEETNAM: On a realtime basis for the larvae,  
24 yes. We are attempting to do realtime monitoring on  
25 adults, but it's very difficult. And we -- we are

CAPITOL REPORTERS (916) 923-5447

2167

1 attempting to do realtime monitoring for salmon as well.  
2 But for winter-run because they are so rare the chance of  
3 encountering a salmon in our very small net -- nets that  
4 we use are very rare. So the chances of detecting when  
5 Delta smelt, or winter-run salmon are in the estuary it's  
6 very difficult.

7 MR. MOSS: You may have in part answered this but:  
8 At what life stage, if any, of the Delta smelt is it  
9 possible to conduct realtime monitoring?

10 MR. SWEETNAM: I should probably back track,  
11 because we are attempting to use monitoring of larval  
12 Delta smelt to monitor diversions at North Bay Aqueduct.  
13 The problem is that you can't get that information on a  
14 realtime basis. It takes about 72 hours to process that  
15 information.

16 So it's not really a realtime monitoring. We've  
17 coined it as recent-time monitoring, because you can't  
18 process the data on a realtime basis to get it back to  
19 the operators to actually make changes in operations on a  
20 realtime basis. So -- and that's sort of like the  
21 context of how realtime monitoring is now in effect in  
22 the Delta.

23 MR. MOSS: Did you say that there were only two  
24 persons who can accurately identify Delta smelt larvae?

25 MR. SWEETNAM: Right. Actually, two parties.

CAPITOL REPORTERS (916) 923-5447

2168

1 MR. MOSS: Two parties?

2 MR. SWEETNAM: Basically, there is a consultant  
3 that we use for identification to confirm our  
4 identifications and we have staff people at Fish and  
5 Game.

6 MR. MOSS: I was going to say: Who are they and  
7 where are they located?

8 MR. SWEETNAM: Actually, one is on our staff. We  
9 have staff that's been trained in identification. And  
10 Mr. Johnson Wong, who's a consultant and actually is who  
11 PG&E uses.

12 MR. MOSS: I just wanted to see if we were talking  
13 about the same individuals.

14 MS. MURRAY: You're hiring the right guy.

15 MR. MOSS: Yes.

16 MR. SWEETNAM: And he charges about 80 to \$90 a  
17 sample. So the cost of processing and identifying those  
18 fish if you are sampling 20 samples a day you can see how  
19 that may be a very lucrative business, very boring, too.

20 MR. MOSS: Given what you've said and what is known  
21 about the monitoring, do you think that the 72-hour  
22 minimum is about as low as it is going to go in terms of  
23 reporting the monitoring back with feedback to the  
24 operators?

25 MR. SWEETNAM: In terms of larval information, yes.

CAPITOL REPORTERS (916) 923-5447

2169

1 We are trying to get adult data within the same day,  
2 within 24 hours, but that has problems as well.

3 MR. MOSS: Is it correct in your -- in your  
4 redirect testimony that you gave the opinion that you  
5 think that the monitoring for Delta smelt as proposed in  
6 the Delta Wetlands Project is either unfeasible, or  
7 nonpractical, or what?

8 MR. SWEETNAM: Well, I was just -- the way I would  
9 express concern is the way it's written out, if you're  
10 adaptively managing to reduce exports within 24 hours  
11 it's not going to work. The proposal that Delta Wetlands  
12 has is that it's sort of open-ended. And we're still --  
13 it's a preliminary stab at monitoring. So I think  
14 it's -- in the final wording it says that they will  
15 consult with Fish and Game and Fish and Wildlife Service  
16 to come up with a plan that's approved by everybody.

17 MR. MOSS: So that's a work in progress then?

18 MR. SWEETNAM: Correct.

19 MR. MOSS: Thank you.

20 HEARING OFFICER STUBCHAER: Okay. Anyone else?

21 Staff?

22 Mr. Sutton.

23 //

24 //

25 ----oOo----

CAPITOL REPORTERS (916) 923-5447

2170

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

RECROS-EXAMINATION OF DEPARTMENT OF FISH AND GAME

BY STAFF

MR. SUTTON: Mr. Sweetnam, just for clarification you've discussed realtime versus recent time. And what is your definition of "realtime"?

MR. SWEETNAM: It's sort of a loose term. It's sort of one of those but -- I don't -- as significance it has a different meaning to different people. I was trying to come up with a good term. Meaningful may be another example.

There is a process that is going on currently in the Delta called realtime monitoring. Although, that information is trying to be presented to interested parties within 24 hours. So, in essence, it's semi-realtime as well. If you get it to the point of making decisions. We were considering in the naming of that project that realtime was within 24 hours. Trying to get the information to the people that would make the adaptive management change in operations like SWPRC within 24 hours. And we were using that as realtime.

MR. SUTTON: So, in essence, realtime is -- is whatever time it takes to turn the information around?

MR. SWEETNAM: Exactly.

MR. SUTTON: In the case of a --

MR. SWEETNAM: And it may be really long.

CAPITOL REPORTERS (916) 923-5447

2171

1           MR. SUTTON: Yeah. I was going to say in the case  
2 of a flow measurement it can be essentially  
3 instantaneous.

4           MR. SWEETNAM: Right.

5           MR. SUTTON: And in the case of Delta smelt larvae  
6 it's 72 hours is the functional realtime monitoring  
7 minimum that you have right now; is that correct?

8           MR. SWEETNAM: Right.

9           MR. SUTTON: Thank you. This is a more general  
10 question to anybody who can answer this. We've had a lot  
11 of testimony and exhibits here about different  
12 percentages and time of export and how much -- impacts  
13 and that sort of thing.

14                   And earlier Mr. Wernette indicated when I asked  
15 him a question that in the absence of topping off there  
16 was about a 13-percent impact on the yield of the -- of  
17 the average annual 154,000 acre foot average annual yield  
18 of Delta Wetlands under the Federal BO's.

19                   The question that I'm trying to get -- and maybe  
20 this isn't appropriate under redirect, but you might want  
21 to consider it, I think you talked about doing some  
22 rebuttal, but let me ask you and see is this:

23                   We know what the impact is, or we have an  
24 estimate of what the impact is on project yield. What,  
25 on the other side of the coin, over the average -- over

CAPITOL REPORTERS (916) 923-5447

2172

1 the 70-year average annual hydrology and operations of  
2 the project, what is the average increase in protection,  
3 or conversely decrease in loss, whatever measurement you  
4 wish to use, for Delta smelt and winter-run salmon under  
5 the -- under the reasonable and prudent measures proposed  
6 in Fish and Games's BO? We've got half the equation,  
7 what's the other half?

8 MR. SWEETNAM: I'll take a stab, my first  
9 inclination for Delta smelt a 70-year average that  
10 would -- you would include the affects on the 70  
11 generations of Delta smelt, because they only live one  
12 year. So in terms of the impact, it's hard to -- for  
13 Delta smelt to go through a 70-year average when it's  
14 only living one year. I mean, this is from a biological  
15 standpoint.

16 MR. SUTTON: But there -- if I may interrupt, but  
17 there is with the measure you propose there is presumably  
18 some measurable difference between the level of  
19 protection, or the amount of loss ascribed to Delta smelt  
20 under the Federal BO's versus Fish and Games' BO. And  
21 that's the number I'm trying to get.

22 MR. SWEETNAM: I think Frank has the answer for  
23 you.

24 MR. WERNETTE: The biological opinion has a couple  
25 of percentages that Mr. Nelson discussed this morning

CAPITOL REPORTERS (916) 923-5447

2173

1 with respect to diversion effects where the biological  
2 opinion reduces diversion effects by 50 percent for both  
3 winter-run and Delta smelt. And that's in comparison of  
4 the project as proposed in the Draft EIR.

5 When you look at the measures in the final  
6 operating criteria, they also reduce impact of diversions  
7 from the proposed project in the EIR. But in our  
8 calculations, those reductions are 25 percent from the  
9 base project for winter-run. And about 30 percent for  
10 Delta smelt. So that the reductions in terms of reduced  
11 impacts is about double what the reasonable and prudent  
12 measures of the biological opinion.

13 MR. SUTTON: Are those just the reasonable and  
14 prudent measures, or with the other conservation measures  
15 included?

16 MR. WERNETTE: With the reasonable and prudent  
17 measures.

18 MR. SUTTON: Only?

19 MR. WERNETTE: That's correct.

20 MR. SUTTON: Thank you.

21 HEARING OFFICER STUBCHAER: Is that it?

22 MR. SUTTON: Yes.

23 HEARING OFFICER STUBCHAER: Mr. Canaday?

24 MR. CANADAY: No questions, sir.

25 MR. STUBCHAER: Anyone else?

CAPITOL REPORTERS (916) 923-5447

2174

1 I just have a couple questions regarding these  
2 Delta smelt larvae, just mainly for my education and not  
3 to influence the decision.

4 How large are the Delta smelt larvae?

5 MR. SWEETNAM: They hatch at about five millimeters  
6 so about the size of a tic-tac.

7 HEARING OFFICER STUBCHAER: Can they swim?

8 MR. SWEETNAM: They -- they can swim, in essence,  
9 not very well. They're considered planktonic for the  
10 first two, or three months, or so.

11 HEARING OFFICER STUBCHAER: Is the North Bay  
12 aqueduct pumping plant at the end of kind of a dead-end  
13 slough?

14 MR. SWEETNAM: Right.

15 HEARING OFFICER STUBCHAER: So if they're in the  
16 slough what moves them out other than tidal action?

17 MR. SWEETNAM: Or exports move them up.

18 HEARING OFFICER STUBCHAER: Yeah. Yeah. If the  
19 pumping is stopped, will they be there for quite a while?

20 MR. SWEETNAM: They can be, yeah. And the current  
21 restriction for North Bay Aqueduct is that when we  
22 determine that there is presence of Delta smelt in the  
23 system, and it's a very strange calculation, because it's  
24 a weighed average between three stations. One is close  
25 to the pumps and one is farther away. And the one

CAPITOL REPORTERS (916) 923-5447

2175

1 farthest away gets weighed less. So it's sort of a  
2 weighed average of these stations.

3 They're restricted to 65 csf for a five-day  
4 period. So, in essence, we have five days to -- that  
5 their pumping is reduced. And in those periods we are  
6 additionally monitoring. So it keeps going that the  
7 five-day period stays on until there are no more Delta  
8 smelt present.

9 HEARING OFFICER STUBCHAER: So they're all pumped.  
10 Okay. Thank you. That concludes the  
11 recross-examination. Do you wish to offer exhibits?

12 MS. MURRAY: Yes. I wish to offer DFG Exhibits 1  
13 through 18 into evidence.

14 HEARING OFFICER STUBCHAER: Okay. Any objections?  
15 Seeing none, they're accepted into evidence. Thank you  
16 for your participation.

17 MR. SUTTON: Excuse me, Mr. Stubchaer?

18 HEARING OFFICER STUBCHAER: Yes.

19 MR. SUTTON: For bookkeeping purposes, there's been  
20 several exhibits introduced by Delta Wetlands during  
21 cross-examination that have not been formally offered  
22 into evidence. Those would be Exhibits 34 -- Delta  
23 Wetlands 34, 35, 36, and 37. I would like to know if you  
24 want to get that taken care of now.

25 HEARING OFFICER STUBCHAER: Yes. Ms. Schneider, or

CAPITOL REPORTERS (916) 923-5447

2176

1 anyone, do you wish to offer them?

2 MS. BRENNER: Sure. Delta Wetlands would like to  
3 offer into evidence DW 34, which was Mr. Krasner's  
4 technical paper; DW 35 which was the comparison of the  
5 table, the State and Federal biological opinion; 36, DW  
6 36 was the Lower Sacramento River Entrainment Index data  
7 set that Mr. Nelson used during his cross-examination.  
8 And DW-37 was Frank Wernette's interpretation of the  
9 percentages on table five that Mr. Nelson and  
10 Mr. Wernette discussed yesterday afternoon. We'd like to  
11 offer those into evidence.

12 HEARING OFFICER STUBCHAER: Are there any  
13 objections? Seeing none, they're accepted.

14 MR. SUTTON: Thank you.

15 HEARING OFFICER STUBCHAER: I think everyone is  
16 worn out. Okay. Next, we will have rebuttal testimony,  
17 and if we stick to the same order it will be Delta  
18 Wetlands first.

19 MS. SCHNEIDER: Mr. Stubchaer, may we sit here and  
20 bring up one witness at a time?

21 HEARING OFFICER STUBCHAER: Yes.

22 MS. SCHNEIDER: Thank you.

23 HEARING OFFICER STUBCHAER: How much time do you  
24 expect you'll need?

25 MS. SCHNEIDER: We have substantial rebuttal

CAPITOL REPORTERS (916) 923-5447

2177

1 testimony. We estimate that it will take between --  
2 about three hours. I have two new witnesses for Delta  
3 Wetlands. Dr. Alex Horne and Doctor -- or  
4 Mr. Robert Korslin. For the record, that's spelled  
5 Horne, H-O-R-N-E; and Korslin is K-O-R-S-L-I-N.

6 And we need to have these two witnesses sworn  
7 in, because they were not here previously, and enter  
8 their resumes for the record as new exhibits -- introduce  
9 them as two new exhibits now before I start.

10 HEARING OFFICER STUBCHAER: Where are they? Are  
11 they in the audience?

12 MS. SCHNEIDER: They are in the audience, Dr. Horne  
13 and Mr. Korslin.

14 HEARING OFFICER STUBCHAER: Okay. I recognize --  
15 yeah. Please, raise your right hand. You promise to  
16 tell the truth in these proceedings?

17 DR. HORNE: Yes.

18 MR. KORSLIN: Yes.

19 HEARING OFFICER STUBCHAER: Okay. The witnesses  
20 may be seated.

21 //

22 //

23 //

24 //

25 ----oOo----

CAPITOL REPORTERS (916) 923-5447

2178

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

REBUTTAL TESTIMONY  
DELTA WETLANDS PROPERTIES  
BY ANNE SCHNEIDER

MS. SCHNEIDER: The first resume is for Dr. Horne. We have copies for the Board and for the parties. That would be Exhibit -- Delta Wetlands 38. And the second is for Mr. Korslin. And we also have copies for the Board and parties. And that would be Delta Wetlands Exhibit 39.

I think to give you a sense of the rebuttal testimony, Mr. Stubchaer, the order that we intend to follow right now is to start with Dr. Brown who's with Jones and Stokes. And then when he's completed to proceed with Dr. Kavanaugh, Dr. List, Dr. Horne, Mr. Hultgren, Mr. Forkel, Mr. Korslin, Mr. Marine, and Mr. Vogel.

MR. MADDOW: Excuse me. Mr. Stubchaer, can I just ask Ms. Schneider to repeat that?

MS. SCHNEIDER: Certainly. The order will be Dr. Brown, Dr. Kavanaugh, Dr. List, Dr. Horne, Mr. Hultgren, Mr. Forkel, Mr. Korslin, and Mr. Marine, and Mr. Vogel. And so, Dr. Brown, would you come up here. We'll start with him.

Good afternoon, Dr. Brown.

DR. BROWN: Hello.

CAPITOL REPORTERS (916) 923-5447

2179

1 MS. SCHNEIDER: Testimony has suggested that export  
2 adjustments should be made by your DeltaSOS Model. That  
3 when they were made, they were unrealistic because most  
4 of those additional exports could not be made because of  
5 demand in storage limits.

6 Can you clarify your testimony and respond to  
7 that comment?

8 DR. BROWN: Yes. I'd like to refer to Figure 3A-5  
9 from the Draft EIR/EIS. This is showing the monthly  
10 Delta outflow after the DeltaSOS Model has made the  
11 adjustments bringing the simulated exports up to full  
12 allowable exports.

13 I've already testified that this is done in  
14 order to protect senior water rights, and also protect  
15 the State and Federal operations. With this -- what I'm  
16 wanting to say along with this figure is that this figure  
17 of monthly Delta outflow in this case compared to that  
18 required under the 1995 Water Quality Control Plan  
19 objectives is, in essence, the entire analysis that all  
20 of the other subject areas follow after.

21 And so what we have been describing throughout  
22 the proceedings is whether water that is not required by  
23 the Water Quality Control Plan objectives would be  
24 allowable under the Delta Wetlands Project.

25 In the event that the adjustment to full exports

CAPITOL REPORTERS (916) 923-5447

2180

1           could not be made under actual operations because there  
2           is a storage limitation, or a demand limitation, that  
3           would mean that exports are less; and, therefore,  
4           outflows are more during that month being simulated. And  
5           that would, in essence, reduce the environmental affects  
6           that we are looking at.

7                         So what I'm wanting to say here is that these  
8           adjustments, which are made in the SOS to full possible  
9           exports also assure that the maximum potential  
10          environmental affects have been analyzed. And so we are  
11          agreeing that in actual operations some of the exports  
12          simulated may not have actually occurred, because there's  
13          not location to put the water during that month.

14                        MS. SCHNEIDER: Testimony suggested that the  
15          reduction in no-project Delta Wetlands agricultural  
16          diversions and possible new Delta Wetlands diversions to  
17          refill storage lost to evaporation were not properly  
18          simulated.

19                        Can you review your modeling assumptions to  
20          clarify how you addressed these parameters?

21                        DR. BROWN: Yes. As we have indicated, the Delta  
22          Wetlands islands cover about five percent of the Delta  
23          lowlands. And so the total consumptive use presently  
24          occurring in the Delta would be reduced by that amount of  
25          present diversions in consumptive use. But that then has

CAPITOL REPORTERS (916) 923-5447

2181

1 to be adjusted by the assumed use of water on the habitat  
2 islands.

3 The amount of consumptive use that the DeltaSOS  
4 Model has adjusted, or reduced is approximately 25,000  
5 acre feet. And this reduced consumptive use and  
6 diversion in the SOS Model is first available for  
7 possibly increased export under the Water Quality Control  
8 Plan. And, indeed, it has been testified often that  
9 reduction in consumptive use is subsequently exported by  
10 the State or Federal projects. But in other months, if  
11 the export to inflow ratio is already controlling the  
12 maximum diversions to the State and Federal projects,  
13 then this reduced consumptive use would increase the  
14 Delta outflow.

15 Now, under the SOS modeling of this new water  
16 right application, in some of those months where there is  
17 additional water now in the Delta that is not being  
18 exported, sometimes the project under its reservoir  
19 diversion and storage operations would divert that water  
20 that, in essence, was given up from the present no-action  
21 condition, or no-project condition.

22 So this amount of allowable diversions under the  
23 assumed rules for project operation under the new water  
24 right is already included in the SOS simulation. And,  
25 for example, is already a part of the 154,000 acre feet a

CAPITOL REPORTERS (916) 923-5447

2182

1 year average export possibility that is simulated under  
2 the final operating criteria.

3 MS. SCHNEIDER: So, in other words, you have  
4 already simulated diversions as part of the 154,000 acre  
5 feet that would replace evaporative losses?

6 DR. BROWN: That's right. We might show just one  
7 example of it. We're just going to look at the top line.  
8 Is it just happens that in 1922 --

9 HEARING OFFICER STUBCHAER: Please identify.

10 DR. BROWN: Yes. This is Table 2C from the Delta  
11 Wetlands Exhibit 4, DW 4. And this is showing under the  
12 final operating criteria -- and as you recall project  
13 rules under the final operating criteria there are no  
14 diversions allowed in April or May.

15 You can see that in the end of March 1922 water  
16 year the project was full with 238,000 acre feet.  
17 Evaporation of 4,000 acre feet in April, 7,000 acre feet  
18 in May, and an additional 7 in June, would have left the  
19 reservoir islands at 220,000 acre feet.

20 But in June because the exports were already at  
21 capacity, the released water that's not being used for ag  
22 diversion is available for diversion under the reservoir  
23 operation criteria. And in June a diversion that allows  
24 the project to refill to full storage capacity is  
25 simulated.

CAPITOL REPORTERS (916) 923-5447

2183

1                   Although this example occurs in 1922, it is not  
2                   very often allowed under the new rules, that is the  
3                   evaporation refill occurs in 1922, but does not occur in  
4                   many of the years. So that's the end of my answer on  
5                   that.

6                   MS. SCHNEIDER: Looking then at June and July, what  
7                   estimates did you use in your modeling of Delta Wetlands  
8                   no-project diversions compared with diversions under the  
9                   final operations criteria for June and July?

10                  DR. BROWN: Okay. I'm referencing another table  
11                  from the EIR. This time it's Table A1-8, it's also  
12                  included in my testimony. This is the assumed  
13                  month-by-month accounting of the different water use  
14                  terms within the project islands under existing, or  
15                  no-project conditions, and also under the habitat  
16                  management.

17                  And just to summarize, in June and July this is  
18                  the evaporation in inches. In July it's approximately  
19                  six inches, that will make it easy for us. Six inches or  
20                  a half a foot distributed over the 20,000 acres under  
21                  no-project is approximately -- sorry, I'm looking at the  
22                  wrong numbers.

23                  That is the evaporation. However, the actual  
24                  diversions, the applied water gets to be almost a foot,  
25                  because the assumption is that the irrigation efficiency,

CAPITOL REPORTERS (916) 923-5447

2184

1 the amount of water applied compared to that evaporating  
2 is relatively low in the lowlands. And so the assumption  
3 is that there is almost a full foot of water being put on  
4 to the 20,000 acres. So 20,000 acre feet in July.

5 Under the final operating criteria where these  
6 diversions to refill evaporative losses are simulated on  
7 occasion, the long-term average for both June and July is  
8 on the order of 2,000 acre feet.

9 So where the agricultural diversions right now  
10 are a little less in June, 15,000 acre feet, about three  
11 quarters of a foot and a full foot, or almost 20,000 acre  
12 feet in July, these months the diversions under the  
13 proposed project would be reduced to about 2,000 acre  
14 feet each.

15 MS. SCHNEIDER: Testimony suggested that the  
16 DeltaSOS Model was not accurate, because the effects of  
17 Delta Wetlands Project operations on upstream CVP and SWP  
18 reservoirs was not simulated using DWRSIM. Would you  
19 describe how your model simulated Delta Wetlands's  
20 operations to respond to those issues?

21 DR. BROWN: Yes. The DWRSIM Model which is the  
22 Department of Water Resources's simulation of the entire  
23 Central Valley area does not include an in-delta storage  
24 facility. And it does not, therefore, have rules for  
25 operating such a facility in conjunction with the

CAPITOL REPORTERS (916) 923-5447

2185

1 existing upstream reservoirs and Delta export pumps.

2 And so we could not do which -- could not use  
3 the same procedure which was used by Contra Costa,  
4 because Contra Costa's diversions from the Delta are a  
5 specified in -- input to the DWRSIM Model. And so once  
6 they reoperated under Los Vaqueros's revised operation  
7 they could rerun the DWRSIM Model inputting this  
8 different demand sequence.

9 Since an in-delta reservoir facility is not part  
10 of the DWRSIM Model we could not use the DWRSIM. And  
11 this is what required us to operate the Delta Wetlands as  
12 though it was an independent project operating only when  
13 the State and Federal facilities could not have taken the  
14 water for diversion and only when pumping capacity would  
15 not have already been used by the State and Federal  
16 facilities. So it is operated independently without  
17 interfering with the State and Federal projects.

18 MS. SCHNEIDER: There is also testimony suggesting  
19 that the Delta Wetlands Project is incompatible with the  
20 CAL/FED alternative solutions to existing issues. And  
21 that Delta Wetlands Project would not be operated in  
22 coordination with existing CVP and SWP facilities to  
23 satisfy the '95 plan objectives.

24 Given your modeling assumptions, including your  
25 daily operations investigations, can Delta Wetlands

CAPITOL REPORTERS (916) 923-5447

2186

1 operations be coordinated with existing and future Delta  
2 operations?

3 DR. BROWN: Yes. We think it can be. We have an  
4 appendix in the EIR, that's Appendix A-4, and it explores  
5 these issues related to the actual day-to-day operation  
6 of a facility if it is granted a water right, and how  
7 that operation on a day-to-day basis could be  
8 accomplished, again, without interfering with the State  
9 and Federal facilities, or their operations.

10 The CAL/FED OPS Group, which I guess most people  
11 know, has been operating with a series of monthly  
12 meetings for almost three years now, is one of the  
13 mechanisms that allows the project operators to explain  
14 what has been happening, and what is projected to happen.  
15 Fish and Wildlife agencies, of course, are present and  
16 voicing their concerns, and the results of the near-time  
17 monitoring.

18 And given such a precedent in recent time, the  
19 idea of adding in a new facility with its specific  
20 operational criteria, certainly, seems feasible. And  
21 this was assumed in the environmental analysis that this  
22 coordinated operation would, in fact, be accomplished.

23 MS. SCHNEIDER: In your various analyses, have you  
24 evaluated the water supply affect of Fish and Games's  
25 proposed measures for the Delta Wetlands Project?

CAPITOL REPORTERS (916) 923-5447

2187

1 DR. BROWN: As part of the consultation that was  
2 going on, we were asked by State Board staff to evaluate  
3 the effects of the proposed Fish and Game measures. Now,  
4 this was based on the March version of the Fish and Game  
5 proposals. And there are a few changes that have been  
6 made since then.

7 But based on -- with many of the same additional  
8 restrictions that are requested by the Fish and Game  
9 proposal, we simulated with the same DeltaSOS Model and  
10 the numbers are this: The final operating criteria was  
11 simulated to have an average diversion of 196,000 acre  
12 feet and an average export of 154,000 acre feet.

13 When we simulated the preliminary set of  
14 criteria -- this would be the March version of Fish and  
15 Games's criteria, this allowed for the same set of  
16 hydrologic conditions, diversions of 160,000 acre feet,  
17 exports of 106,000 acre feet, with approximately 18,000  
18 acre feet going to Delta outflow under the various  
19 percentages that were in the Fish and Game's proposal for  
20 environmental water.

21 The 106,000 would, therefore, compare the Fish  
22 and Game a 106,000 acre feet per year of exports would  
23 compare to the 154 that is simulated under the Federal  
24 opinions of the final operating criteria.

25 MS. SCHNEIDER: Various testimony suggested that

CAPITOL REPORTERS (916) 923-5447

2188

1 Jones and Stokes's evaluations of Delta Wetlands  
2 hydrodynamic and salinity effects were incomplete and  
3 inaccurate and involved a series of models that were  
4 uncertain and unreliable.

5 In your opinion, are your assessment models and  
6 comparative results accurate and reliable?

7 DR. BROWN: Yes. I'm referring to Figure 3-1 out  
8 of the Draft EIR -- which rather than try to get all the  
9 details is simply a representation that there was a whole  
10 series of monthly assessment models that were previously  
11 available, or that were developed for this specific  
12 environmental assessment.

13 For example, the DeltaSOS that we've been  
14 talking about, the daily SOS which was used to evaluate  
15 the day-to-day operations that -- that would occur, or  
16 how would daily operations occur, the RNA Delta  
17 hydrodynamic and salinity model, the effect of Delta  
18 outflow, which is similar to the G Model developed by  
19 Contra Costa, the Delta DWQ, which is drainage water  
20 quality from the Delta agricultural areas compared to  
21 what the proposed project would discharge, a Water  
22 Treatment Plan Model of trihalomethane production  
23 developed for the Environmental Protection Agency, and  
24 the Delta Move Model, the name -- the monthly transport  
25 is just a -- was the Delta Move Model that we've had some

CAPITOL REPORTERS (916) 923-5447

2189

1 discussion of recently. All of these models are  
2 connected together in the assessment.

3 And my point here is that at every opportunity  
4 these model results are compared to available data,  
5 whether it be actual flow data such as day flow, the  
6 approximately 25 years of continuous electrical  
7 connotativity data from about 25 stations throughout the  
8 Delta, all of the MWQI channel data related to THM's, all  
9 of the Delta islands drainage investigations from ag  
10 drains, the demonstration wetland experiment, and then in  
11 the fisheries area actual fish abundance criteria.

12 So the -- the basic approach is to develop a  
13 series of connected models, but to test the models with  
14 the available field data at every opportunity. And we  
15 think this has provided a reliable assessment approach.

16 MS. SCHNEIDER: There was testimony that suggested  
17 that tidal mixing and transport processes in the south  
18 Delta channels were complex. And the effects of Delta  
19 Wetlands discharge were difficult to analyze.

20 Do you agree with that?

21 DR. BROWN: I certainly agree that the tidal flows  
22 and mixing exchanges in the Delta are complexed. But as  
23 CUWA Exhibit 8 demonstrates for us, they are not beyond  
24 our understanding.

25 MS. SCHNEIDER: Russ, you're referring to Figure 1

CAPITOL REPORTERS (916) 923-5447

2190

1 from CUWA Exhibit 8?

2 DR. BROWN: Yes, I am. This particular result is a  
3 simulation done for CUWA indicating how much of the Delta  
4 Wetlands discharge water would reach the various intakes  
5 for either Delta diversions, or Delta exports.

6 The flow conditions that were simulated here had  
7 a Delta Wetlands discharge of approximately 3500 and a an  
8 export -- total export including the Delta Wetlands  
9 discharge of something like 11,000. The percentage of  
10 Delta Wetlands discharge to the total export is  
11 approximately 30 percent.

12 The mitigation measures that we are suggesting  
13 for controlling the allowable effects of Delta Wetlands's  
14 discharge water on export water quality are confirmed by  
15 this detailed 15-minute simulation of tidal mixing and  
16 exchange.

17 They're confirmed in the sense that after a  
18 number of days the amount of Delta Wetlands discharge  
19 water reaching either the Tracy, or Clifton Court intake  
20 was approaching the 29 percent, which is the Delta  
21 Wetlands discharge flow that day.

22 This illustrates that a relatively simple method  
23 of using just the fraction of the total exports that's  
24 being contributed by the Delta Wetlands discharge  
25 provides a reliable and easily understood approach to

CAPITOL REPORTERS (916) 923-5447

2191

1 controlling the total concentration increase at the  
2 Delta, which would be a function of the mitigation  
3 standards that are placed on the water right permit by  
4 the Board.

5 And so although the details of tidal mixing and  
6 exchange are quite complex, the overall effect is quite  
7 easy to understand. And that -- in that the source of  
8 Delta Wetlands water reaching the export is approximately  
9 equal to the discharge volume compared to the total  
10 export volume during that time period.

11 MS. SCHNEIDER: Thank you. In a more general  
12 sense, how were specific results from the hydrodynamic  
13 models used in the water supply/water quality and fishery  
14 assessment models?

15 DR. BROWN: As the previous figure we had up, 3-1,  
16 indicated the results from the hydrodynamic model in a  
17 sense were summarized and included in many of the other  
18 models. The hydrodynamics gave us the -- sorry, the  
19 hydrodynamic models indicated what the different channel  
20 flow splits were. Once those were determined, the  
21 results from that model was included in the DeltaSOS  
22 Model, which then calculates the flows in the channels  
23 using those hydrodynamically determined flow splits.

24 The seawater intrusion effects, in addition,  
25 which were found during the hydrodynamic modeling were

CAPITOL REPORTERS (916) 923-5447

2192

1 included in the effected Delta outflow modeling as a  
2 relationship between salinity at some location and  
3 outflow. And those same outflow salinity relationships  
4 are included in the Delta DWQ to estimate the amount of  
5 seawater intrusion reaching the Delta lowlands in the  
6 export locations each month as a function of Delta  
7 outflow.

8 And then the Delta Move Model that's been  
9 described in the previous testimony, included the tidal  
10 exchanges that were calculated in the hydrodynamic model,  
11 those were included as exchanges in the monthly Box Model  
12 that we call Delta Move. So at every opportunity the  
13 results of the detail hydrodynamic model, the results of  
14 that modeling were included in the monthly assessment  
15 models that are used for each of the resource topics.

16 MS. SCHNEIDER: I have a question about Delta move.  
17 There's been discussions about Fish and Game's use of  
18 Mr. Shaul's Delta move data. Mr. Starr from Fish and  
19 Game said that he numerically combined the four boxes in  
20 the Delta Move Model.

21 Can you comment on Fish and Games use of Delta  
22 move data?

23 DR. BROWN: I can explain what the Delta Move Model  
24 does, which may help you understand what Fish and Game  
25 did.

CAPITOL REPORTERS (916) 923-5447

2193

1 MS. SCHNEIDER: This is a new exhibit before you  
2 start, Dr. Brown.

3 We would introduce it into evidence. We have  
4 copies for the Board and the parties. It would be  
5 Exhibit DW 40. Would you explain how you developed this  
6 model, this figure --

7 HEARING OFFICER STUBCHAER: Can you move that to  
8 the right so we can see that figure. Thank you.

9 MS. SCHNEIDER: Dr. Brown, could you briefly  
10 explain where the information came from to develop this  
11 figure?

12 DR. BROWN: Yes. These are monthly results from  
13 the Delta Move Model for the sequence of months from  
14 1967, this will be water years, through 1991. This is  
15 the -- just to show the 25-year period. I want to start  
16 with trying to explain this with the Sacramento box.

17 The Sacramento River box which basically goes  
18 between Collinsville up to about the Cross Channel, it's  
19 that portion of the lower Sacramento River. At the  
20 beginning of each month that water is tagged and then the  
21 fate of that water during the subsequent month, or during  
22 that month is followed. And at the end of the month, the  
23 Move Model estimates how much of the water has been  
24 entrained in either ag diversions, or the State and  
25 Federal pumps, or Contra Costa's diversion, any of the

CAPITOL REPORTERS (916) 923-5447

2194

1 Delta diversions.

2 And you can see that during the irrigation  
3 season of -- we're just looking at the first year, 1967  
4 approximately 25 percent, or .25 as a fraction of that  
5 water tagged at the beginning of the month in the  
6 Sacramento box has been diverted somewhere in the Delta.  
7 And the shaded is the results of the Sacramento box.

8 You can see that there are times when virtually  
9 none of the water beginning in that box will end up in a  
10 diversion. This is very likely the months or periods  
11 with a high outflow where there is essentially no  
12 opportunity for the water originating in the lower  
13 Sacramento River to be diverted anywhere in the Delta and  
14 it is moving downstream.

15 The San Joaquin box, which will be a little bit  
16 harder to see without colors, is the second line that's  
17 often approximately twice as high as the Sacramento,  
18 although, sometimes it's the same.

19 I'm just indicating that on a month-by-month  
20 basis there is large variations in how much of the water  
21 starting in the lower San Joaquin, and this box would be  
22 located between the mouth of the Mokelumne down to the  
23 confluence of the Sacramento, if that water is tagged at  
24 the beginning of each month and traced -- tracked through  
25 the month. And the fraction of that water that is

CAPITOL REPORTERS (916) 923-5447

2195

1 diverted somewhere in the Delta is plotted. And it is a  
2 line that fluctuates like the Sacramento and often is  
3 higher than the Sacramento, because the lower San Joaquin  
4 is closer and more vulnerable to the major diversion in  
5 the South Delta.

6 And I am also showing the Central Delta box.  
7 The Central Delta box is -- includes Franks Tract, all of  
8 Old River, Middle River, and all of the South Delta  
9 Channels, Grantline, and the Old River itself.

10 This water is very vulnerable during periods of  
11 high export. And often -- this is the high line, not the  
12 boxes. And often in the summer period with relatively  
13 low inflows on the San Joaquin, or Sacramento and  
14 relatively high exports, the percent of water that starts  
15 in the Central Delta at the beginning of the month that  
16 is entrained by the end of the month is relatively high,  
17 reaching maximums here of 90 percent.

18 And the fourth one is the Mokelumne River box.  
19 The inflow to that box is the Mokelumne River itself, but  
20 the majority of the water is coming through either Cross  
21 Channel, or Georgiana. So that box is all of the  
22 Mokelumne River channels up to the Cross Channel. And  
23 the boxes are showing that the percent of water starting  
24 there at the beginning of the month is sometimes the same  
25 as the Central Delta box. That is they're both

CAPITOL REPORTERS (916) 923-5447

2196

1           predominantly diverted. And sometimes it's less.

2                       But these are the four different boxes that are  
3           tracked for the Delta smelt. In Warren Shaul's analysis  
4           he uses only the Mokelumne box entrainment on a  
5           month-by-month basis to combine with this the monthly  
6           timing of the winter-run population that's assumed to  
7           come up with his annual index.

8                       So the Move Model, to summarize, is tracking the  
9           fate of water beginning in these four boxes in the Delta.  
10          And that is the end of my explanation. From here what  
11          the Fish and Game actually did with this, these four  
12          different time series of monthly fate of water beginning  
13          in these four boxes, I am not yet clear on.

14                      And we'll do that last figure. I'm sure that  
15          figure was too much for all of us. This is simply a  
16          summary using the no-project case where we will have full  
17          exports going for the entire --

18                      MS. LEIDIGH: Could you identify --

19                      DR. BROWN: Sorry. This is Appendix A to Figure 3,  
20          Appendix A to the biologic assessment which is included  
21          in the Draft EIR/EIS documents, Figure 3 from Appendix A.  
22          This is simply a summary.

23                      The four boxes that we were looking at, the  
24          Central Delta, if we just average for the entire period  
25          with full exports simulated we find that on average --

CAPITOL REPORTERS (916) 923-5447

2197

1 not taking into account the month-by-month pattern that  
2 was there, but just the averages, 80 percent of the water  
3 beginning in the Central Delta at the beginning of the  
4 month is diverted, or entrained by the end of the month.

5 For starting in the Mokelumne box the number is  
6 less, but still 60 percent on average of that water,  
7 without regard to which month we're tracking, is diverted  
8 or entrained.

9 Water beginning in the lower San Joaquin, since  
10 it has two boxes that it has to move through to get to  
11 the pumps and is often -- there is a flow at Antioch  
12 moving water out of that box towards the confluence and  
13 towards Suisun Bay, a much lower average entrainment, or  
14 diversion fraction. The lower Sacramento is lower still.

15 And for particles of water, or organisms  
16 vulnerable to the movement entrainment beginning at the  
17 confluence is less than five percent on average that  
18 makes it to a Delta diversion. So these are in a sense  
19 the summary of all of the water supply information on  
20 imports and exports combined with the hydrodynamic  
21 information on channel flows splits and tidal exchange  
22 mixing that gives us this fate, or tracking assessment  
23 that is used as the beginning of the fisheries's  
24 assessment and evaluation.

25 MS. SCHNEIDER: Of those boxes shown on that

CAPITOL REPORTERS (916) 923-5447

2198

1 figure, is one represented by the Cross Delta flow  
2 parameter?

3 DR. BROWN: Yes. The tracking of the Mokelumne  
4 River box is the results referred to by Mr. Shaul as the  
5 Cross Delta flow parameter.

6 MS. SCHNEIDER: Is there a basis for combining  
7 these boxes?

8 DR. BROWN: The proper way to combine information  
9 about these four boxes is to decide how much of your  
10 target species, that is the species that you are  
11 assessing originates in each of these boxes, and then  
12 of -- how much of the population originates in these  
13 boxes in each month.

14 And these are what Warren calls the distribution  
15 coefficients. The total abundance of a vulnerable  
16 population needs to be distributed by month and by box as  
17 to their point of origin. Then the results from the Move  
18 Model can be properly combined into an overall diversion,  
19 or entrainment index.

20 MS. SCHNEIDER: Okay. I'm going to move to ag  
21 drainage and export water quality issues. There's been  
22 testimony that has suggested that the export electrical  
23 connotativity and dissolved organic carbon is generally  
24 the result of agricultural drainage increasing the  
25 observed Sacramento River concentrations.

CAPITOL REPORTERS (916) 923-5447

2199

1                   Is this an accurate description of the factors  
2                   controlling Delta export water quality?

3                   DR. BROWN: I don't believe it is. There are more  
4                   sources of water. And, therefore, potential sources of  
5                   both salinity and dissolved organic carbons than simply  
6                   the Sacramento River. I want to refer to Figure C-4-4  
7                   from the Draft EIR documents.

8                   This figure is illustrating results from the  
9                   DWQ, the Delta Water Quality -- sorry, Drainage Water  
10                  Quality Model that was used for the assessment of DOC,  
11                  and linked to the T -- trihalomethane analysis.

12                  These are the monthly observed connotativity  
13                  values for the Sacramento River. And the line would be  
14                  the assumed distribution that is based on a flow  
15                  regression during low-flow periods. Even on the  
16                  Sacramento, the observed connotativity is higher than  
17                  during the periods of high flow when connotativity will  
18                  be lower there is a range of between 100 and  
19                  approximately 250 on the Sacramento River itself. That  
20                  is the source quality of the Sacramento River varies as a  
21                  function of flow.

22                  And this can be included in the assessment  
23                  modeling and is. There is similarly a -- and a much  
24                  wider range of observed connotativity for the San Joaquin  
25                  River. During periods of low inflow the connotativity on

CAPITOL REPORTERS (916) 923-5447

2200

1 the San Joaquin can be quite high. During high flow  
2 periods the connotativity on the San Joaquin here in  
3 units of .2, this is 200 microsiemens would compare to  
4 the quality on the Sacramento.

5 Only infrequently is the quality of the San  
6 Joaquin equal to the Sacramento, which means that in the  
7 assessment of export water quality it's quite important  
8 not to lose track of the quality on the San Joaquin and  
9 how much water on the San Joaquin is coming in. Coupled  
10 with the fact that the San Joaquin inflow is largely  
11 exported, that is almost always contributes fully to  
12 exports, the percentage of exports originating in the San  
13 Joaquin can be quite high.

14 And this is a second source of both  
15 connotativity, or salinity and dissolved organic carbon  
16 that must be considered in this assessment strategy. The  
17 third one is illustrating that for salinity there is a  
18 substantial source of salinity originating as what we  
19 call salinity intrusion. And this is a function of the  
20 Delta outflow.

21 And so to begin the analysis of how much  
22 additional salinity, or dissolve organic carbon has been  
23 added within the Delta, we first need to -- carefully  
24 need to account for these three inflows of salinity, or  
25 dissolved organic carbon represented on this diagram.

CAPITOL REPORTERS (916) 923-5447

2201

1           Because the agricultural drainage flows are not measured,  
2           the way that the Sacramento and San Joaquin flows are  
3           measured we're left with some uncertainty as to the  
4           magnitude of the drainage flow.

5                       We have very good measurements of the drainage  
6           water quality in recent years as part of the municipal  
7           water quality investigation.  But because we don't -- do  
8           not have actual measurements of drainage flows, those  
9           remain uncertain.  However, if we have these estimates of  
10          the amount coming in on each of the rivers and the amount  
11          of salinity from seawater intrusion, we can use the model  
12          to estimate what the export DOC and export chloride would  
13          have been with just these river sources and without any  
14          ag drainage.  And then compare that predicted export  
15          concentration to what is actually observed.  The  
16          difference will represent the additional salinity, or DOC  
17          contributed by the unmeasured source, that is the  
18          drainage from the agricultural areas.

19                      And so combining these four sources, and not  
20          just the two, the Sacramento is important.  The San  
21          Joaquin is important.  Seawater intrusion is important.  
22          The fourth unmeasured term can be determined by  
23          differences in comparison to the measured export  
24          concentrations, which we do have a good record of.

25                      MS. SCHNEIDER:  There's -- there's been testimony

CAPITOL REPORTERS (916) 923-5447

2202

1           that suggested that you relied solely on Delta Wetlands's  
2           experiments that you conducted and ignored the municipal  
3           water quality investigation stated.

4                         Do you have a comment on that?

5                         DR. BROWN: My comment is that that is not true.  
6           There is an entire appendix in the Draft EIR documents  
7           that describes and analyzes the municipal water quality  
8           measurements for the rivers and for the exports and goes  
9           through the analysis that I was just mentioning,  
10          comparing the inflow and export concentrations. There is  
11          a second appendix, C-2, that describes at the time that  
12          the analysis was done all available Delta island drainage  
13          information from the MWQI.

14                        MS. SCHNEIDER: Okay.

15                        DR. BROWN: So all available data from the other  
16          agencies was used along with the additional experimental  
17          results that were obtained that we've described  
18          previously. I'm wanting to refer to Figure C 5-9.

19                        MS. SCHNEIDER: And that's from the EIR/EIS?

20                        DR. BROWN: Yes. And this figure illustrates the  
21          the Delta DWQ model which was constructed, based on all  
22          available channel and inflowing data as well as the  
23          island drainage data to provide an estimate of the export  
24          water quality that was also observed as part of the MWQI  
25          Program. And this illustrates that process I was

CAPITOL REPORTERS (916) 923-5447

2203

1 mentioning.

2 All of the river inflows and the salinity  
3 intrusion plus the estimated agricultural drainage for  
4 the EC variable and also separately for the chloride  
5 variable are included. And these two graphs just show  
6 the DWQ prediction on a monthly basis of what the export  
7 chloride and what the export EC would have been if the  
8 model is accurate. And it's being compared to the  
9 measurements for these two salinity variables collected  
10 at the three diversion or export locations: Rock Slough,  
11 the DMC, and the Banks.

12 And although there are variations between the  
13 three export locations and there are certainly variations  
14 between the model results and the measured results, the  
15 range of values predicted in these high salinities would  
16 be from low Delta outflows in combination with possible  
17 ag drainage effects.

18 And so it is the combination of all available  
19 data comparatively checked against the model predictions.  
20 That is the basis for building this assessment framework.

21

22 HEARING OFFICER STUBCHAER: Could I ask a question  
23 on this? Is the seawater intrusion component have more  
24 of an affect on the chlorides relatively speaking than on  
25 the TDS? You don't have it up there, but --

CAPITOL REPORTERS (916) 923-5447

2204

1 DR. BROWN: Yes, it does. Because the ratio of the  
2 connotativity -- sorry, the ratio of chloride to  
3 connotativity is very distinct for each of the rivers and  
4 the seawater. The Sacramento has only a five-percent  
5 chloride in the connotativity. The San Joaquin has  
6 15-percent chloride per connotativity. And seawater has  
7 30-percent chloride per connotativity. So when seawater  
8 is affective, twice as much of an affect on chloride is  
9 simulated and observed.

10 HEARING OFFICER STUBCHAER: Thanks.

11 MS. SCHNEIDER: There was testimony that suggested  
12 that the peak biomass occurs in the late summer and  
13 corresponds to the maximum potential source loading of  
14 dissolved organic carbon.

15 Is that a correct statement?

16 DR. BROWN: No. The first half is true. The peak  
17 biomass of a bush, or a tree, or a Wetland plant occurs  
18 at the end of a growing season, near the end of the  
19 summer. But this is not when the peak source of  
20 dissolved organic carbon would occur.

21 I'm referring to Figure C 3-1, which is in the  
22 EIR and is the basic carbon cycle described for Delta  
23 agricultural, but it would apply to Delta Wetlands, that  
24 is to Wetlands within the Delta. So a plant -- this  
25 could be a tule marsh, or a corn plant is growing and

CAPITOL REPORTERS (916) 923-5447

2205

1 reaches peak biomass, sure enough, at the end of the  
2 summer. And then is harvested, in the case of corn, or  
3 falls over and decays in the case of tules.

4           There is microbial activity that requires a  
5 connection to the oxygen source from the air that is  
6 working to degrade, or decay both the plant residue, I'll  
7 call it, and also may oxidize or decay some of the peat  
8 soil. The carbon moving through the microbial activities  
9 ends up either as dissolved organic carbon, or as CO<sub>2</sub>,  
10 some of which dissolves in the water, most of which  
11 escapes after mineral reactions in the carbonate system  
12 back to the CO<sub>2</sub> in the atmosphere.

13           And only the dissolved carbonate, bicarbonate  
14 CO<sub>2</sub> and the dissolved organic carbon, which is the higher  
15 weight organic molecules still containing carbon are  
16 coming off the drainage water and there is a delay  
17 between the peak biomass and when the peak dissolved  
18 organic carbon is available.

19           And this is the -- in the experimental regime,  
20 but it was done for the project the decay of the  
21 vegetation and the oxidized peat as this area was flooded  
22 in the fall following the full year of growth and  
23 microbial activity in the peat soil.

24           In the vegetation experiment only three percent  
25 of this original organic carbon was observed as dissolved

CAPITOL REPORTERS (916) 923-5447

2206

1 organic carbon in the barrel test. And in the soil  
2 saturation test, which was a sample from the peat soils  
3 either at the surface, or down about two feet less than  
4 one percent, the measured numbers were a .1 for the  
5 Wetlands's soils and .2 percent, or two parts per  
6 thousand of the organic carbon measured in the peat soil  
7 was coming off as dissolved organic carbon.

8 These both indicate that a very small fraction  
9 of the peak biomass is available later in the season  
10 after microbial decay and in the dissolved organic carbon  
11 form.

12 MS. SCHNEIDER: Testimony suggested that Jones and  
13 Stokes's analysis of potential affects of Delta  
14 Wetlands's operations on export bromide and DOC levels  
15 are not correct. And that the EPA Water Treatment Plant  
16 Model estimates of THM were inaccurate because the  
17 affects of bromide on THM were not properly simulated.

18 Is that testimony correct?

19 DR. BROWN: I don't believe so. I'm referring to  
20 Figure C 5-10 from the Draft EIR, which is just like the  
21 figure we recently saw. These are results from the Delta  
22 Drainage Water Quality Assessment Model for the period  
23 '82 through '92 -- sorry, through '91, a 10-year period.

24 This is the model predictions with the historic  
25 inflows and exports simulating what the export bromide

CAPITOL REPORTERS (916) 923-5447

2207

1 concentration would be, which is directly related to the  
2 chloride concentration that was previously shown. The  
3 measurements for bromide only began in the MWIQ Program  
4 in 1990. And so in this graph there's only approximately  
5 two years of the measured bromide shown, again, for the  
6 three different export, or diversion locations.

7 And towards the end of '90 and into '91 both  
8 years with relatively low Delta outflow, the bromide  
9 concentrations increased in measurements and in  
10 simulations approaching one milligram of bromide.  
11 During periods of high Delta outflow, the bromide  
12 would -- is predicted to get as low as .1. So at the  
13 range of bromide predicted and measured is approximately  
14 .1 to 1.

15 And the dissolved organic carbon predictions  
16 which, again, are a function of the river inflows, the  
17 relative contribution of each of those inflows to the  
18 export as well as the ag drainage load of DOC from the  
19 Delta areas itself as predicted by the Delta DWQ Model in  
20 comparison to the observed measurements. And we can see  
21 that the Delta DWQ model gives a predicted range in the  
22 three to six or seven range.

23 The measurements at the export locations have  
24 been as low as two and also have been as high as seven.  
25 The correspondence of the organic dissolved carbon is not

CAPITOL REPORTERS (916) 923-5447

2208

1 as close as the salinity measurements are. Nevertheless,  
2 it is the precursors, the two important variables for  
3 disinfected by-products, bromide and dissolved organic  
4 carbon. And these have been simulated as the major  
5 assessment variables and these we feel are accurate  
6 especially in the comparative mode where the effects of  
7 the project would be compared to the no-project case to  
8 get an estimated project effect.

9 Now, the second half of the question related to:  
10 Was the proper model used to go from these precursors  
11 into a treatment plant that might be using Delta water  
12 and predicting the THM?

13 The EPA water treatment model was developed by  
14 Malcom-Pirnie Engineers and that was finished, I believe,  
15 in '91. The water quality review team, which is the  
16 Board's staff, the Corp, Metropolitan, Contra Costa, and  
17 the Department of Water Resources, the U.S.GS, and other  
18 agencies on occasion, suggested to the Board staff that  
19 these precursors were not enough.

20 That the affects at a treatment plant should  
21 also be simulated as a part of the EIR analysis. And so  
22 Malcom-Pirnie, the authors of the EPA Model were  
23 contacted and retained to create a version of the water  
24 treatment plant model that would work with this 25-year  
25 monthly estimate of export water quality. This work was

CAPITOL REPORTERS (916) 923-5447

2209

1 completed in November of 1992, the results of which went  
2 into the draft document at that time, and were circulated  
3 to the review committee.

4 During that next year, 1993, Metropolitan Water  
5 District and some of their contract -- or customer  
6 agencies, I'm not sure what they call them, some of the  
7 water districts operating the treatment plant retained  
8 Malcom-Pirnie to modify the basic prediction equations  
9 inside of this water treatment model to more accurately  
10 reflect the influence of bromide in Delta water on  
11 forming THM's. That report came out December of '93, one  
12 year after the work for this document was completed by  
13 Malcom-Pirnie.

14 I'm referring to a combination of -- this is  
15 from my testimony, which is identified at the bottom as  
16 DW 12. It is a combination of the text from page 28 and  
17 Table 1, because after the revised equation was produced  
18 by Malcom-Pirnie there was certainly discussion within  
19 the review committee, which was still meeting on a  
20 somewhat regular basis, of whether the evaluation done  
21 for the Draft EIR should now be redone since there was  
22 now a new equation.

23 And the evaluation at that time was that  
24 although the equation changes the influence of dissolved  
25 organic carbon and bromide on producing THM's, the

CAPITOL REPORTERS (916) 923-5447

2210

1 results would have been substantially the same as in the  
2 draft document. And so the modeling was not redone.

3 Here is a simple comparison, just to review,  
4 that evaluations done at the time that this new equation  
5 was produced, so this would be early '94, for a range of  
6 dissolve organic carbon between two and six, which is the  
7 possible range of dissolved organic carbon in Delta  
8 exports as indicated by the measurements shown in the  
9 previous diagram. And for a range of bromide in  
10 milligrams going from zero, which really cannot occur,  
11 perhaps .1 can, all the way up to the observed range and  
12 this would also correspond to be just above the chloride  
13 of 250, which is a part of the Water Quality Control Plan  
14 objectives. So a one milligram of bromide is certainly  
15 at the top end of what is assumed to occur in the Delta.

16 For a mean value of four dissolved organic  
17 carbon the revised equation says that trihalomethanes  
18 would range from 24 up to 97 at high bromide. The EPA  
19 model that was used in the draft document says that at  
20 low bromide there would have been 26.6 and it would have  
21 increased up to 38 at the high bromide.

22 Well, there is certainly a difference in the  
23 trihalomethanes that would be predicted under the  
24 no-project. The relevant comparison for this assessment  
25 is: What would a change in dissolved organic carbon do

CAPITOL REPORTERS (916) 923-5447

2211

1 to the trihalomethane? That is, the sensitivity of  
2 trihalomethanes to a change in dissolved organic carbon  
3 is the most important comparison.

4 And what the text indicates is that the revised  
5 equations, which are now emphasizing the affects of  
6 bromide reduce the change in trihalomethane simulated for  
7 a given change in dissolved organic carbon. As an  
8 example, for a 20-percent change in DOC, which is the  
9 suggested mitigation standard in the Draft EIR is the  
10 significance criteria for significant environmental  
11 affects during the month, the THM concentration will  
12 increase about 15 percent.

13 Whereas, in the EPA model, the one that we used  
14 to evaluate potential environmental affects, a change of  
15 DOC of 20 percent would have given a 25-percent change in  
16 trihalomethane. Restated, the sensitivity of the new  
17 equation to a change in dissolved organic carbon is  
18 reduced. The sensitivity of a change to bromide is  
19 increased.

20 If bromides would have increased because of  
21 project operation from .5 milligrams to .6, that is in  
22 the middle of the allowable range of bromide, the revised  
23 equation indicates that it would increase THM by 14  
24 percent. Whereas, the previous equation, the one that's  
25 used in the National EPA Model, would have suggested an

CAPITOL REPORTERS (916) 923-5447

2212

1 increase of 4 percent.

2 Because this is an evaluation of the relative  
3 affects of the proposed project against the no-project  
4 case, the actual trihalomethane values are not as  
5 important as the change in trihalomethane predicted for a  
6 change in one of the precursors, which is being properly  
7 modeled in the Delta DWQ Assessment Model. And this is  
8 the analysis leading to the conclusion that the original  
9 modeling did not need to be redone.

10 I'm referring to one last figure, which is from  
11 the same appendix, C5, that fully describes the  
12 trihalomethane modeling that was done following  
13 recommendation by the review committee.

14 It has been testified that the trihalomethane  
15 predictions are the result of a whole pyramid of models  
16 starting with the water supply models of what the monthly  
17 flows in the Delta would be. Then the hydrodynamic model  
18 indicating what the movement of the rivers and the  
19 sources and the seawater intrusion and the mixing would  
20 have been. Then the Delta Water Quality Model, which  
21 estimated that adding to those river inflows the  
22 drainage, then this trihalomethane model. And so that  
23 the numbers coming out of this model are hopelessly  
24 unreliable, because they were the combination of four  
25 uncertain and now connected models.

CAPITOL REPORTERS (916) 923-5447

2213

1                   Nevertheless, when we're all done we have eight  
2                   actual observed trihalomethane values from the Penitencia  
3                   treatment plant that have been simulated with the water  
4                   treatment plant model using their actual treatment  
5                   processes for the -- this one year where we have an  
6                   overlap of our modeling and their measurements and all of  
7                   the values are not exact. Again, the important thing for  
8                   the assessment modeling is that the range of values and  
9                   that the comparative change from a no-project to a  
10                  project are still within the range that were actually  
11                  measured.

12                  And so my answer to the very short question long  
13                  answer is that our estimates of the trihalomethane  
14                  values, even though it was the last variable predicted  
15                  after a sequence of models and even though there was,  
16                  perhaps, an equation that did not fully account for the  
17                  bromide affect still provide adequate and accurate  
18                  information for this impact assessment.

19                  MS. LEIDIGH: Dr. Brown, for the record, could you  
20                  identify that last figure that was up on the screen?

21                  DR. BROWN: It was Figure C5-14.

22                  MS. LEIDIGH: Thank you.

23                  DR. BROWN: From the EIR.

24                  MS. SCHNEIDER: Thank you, Dr. Brown. That  
25                  concludes our questions for Dr. Brown and next will be

CAPITOL REPORTERS (916) 923-5447

2214

1 Dr. Kavanaugh.

2 Good afternoon, Dr. Kavanaugh.

3 DR. KAVANAUGH: Good afternoon, Ms. Schneider.

4 MS. SCHNEIDER: Let's just start right in with CUWA  
5 Exhibit 6D. CUWA Exhibit 6D states that Delta Wetlands  
6 has not adequately addressed the affects of pore water  
7 circulation and bioturbation on rate of release of DOC  
8 from peat soil.

9 Did you address these mechanisms in your  
10 analysis as shown in your Table 5-5 of DW Exhibit 13 on  
11 page 51 of that exhibit?

12 DR. KAVANAUGH: Yes, I did.

13 MS. LEIDIGH: You have to speak directly into that,  
14 very close.

15 DR. KAVANAUGH: Am I close enough?

16 HEARING OFFICER STUBCHAER: Yes.

17 DR. KAVANAUGH: I felt if I'm any closer it's in my  
18 mouth. So, good. I -- I'm, of course, a little hesitant  
19 to put up any numbers in front of the Board after you  
20 just listened to quite a few numbers but, unfortunately,  
21 this is all about numbers. So if you'll bear with me  
22 I'll try to be succinct and direct on this issue.

23 It was stated in the CUWA Exhibit 6 -- which one  
24 is it, 6B that certain fundamental processes that  
25 accelerate the rate of release of dissolved organic

CAPITOL REPORTERS (916) 923-5447

2215

1 carbon from the sediments were not adequately addressed.

2 And what I wanted to point out, again, in my  
3 rebuttal is that in this table, and I'm referring to  
4 Table 5-5, Delta Wetlands 13, Exhibit 13, that I looked  
5 at diffusion from the sediments and vegetative biomass  
6 and algae, and these are the three -- three key  
7 components that would release DOC to the water column.  
8 And the key issue with respect to these mechanisms is the  
9 manner in which the quantity of DOC is released to the  
10 water column due to diffusion coming out of the  
11 sediments.

12 The processes that influence the rate of  
13 transfer of DOC out of the sediments into the water  
14 column are molecular diffusion, pore advection,  
15 bioturbation, and if you have the other -- is there  
16 another chart there? Do we have Exhibit 6B? 6B is in  
17 the CUWA Exhibits. And I can just quickly state that the  
18 direct wave action is the fourth mechanism that was  
19 reported.

20 Now, in this analysis you'll note that I have a  
21 value of low to high for release of -- from the  
22 sediments. And I've done that for all four of the  
23 islands, two of them, of course, reservoir islands and  
24 two of them habitat islands.

25 In order to estimate the amount of DOC that

CAPITOL REPORTERS (916) 923-5447

2216

1           could possibly be released from the sediments, I  
2           evaluated both literature sources, looked at the data  
3           from the EIR/EIS, and also undertook an independent  
4           analytical analysis and that's in my testimony. The  
5           particular quantities of -- with respect to each one of  
6           these mechanisms has been estimated in my testimony and  
7           you can review it.

8                         The key point is that on page 126 of my  
9           testimony I stated that the estimated release from the  
10          sediments due to molecular diffusion alone was  
11          approximately one milligram of DOC per square meter per  
12          day. The three other processes that are mentioned in the  
13          CUWA exhibit: Direct wave action, pore water  
14          circulation, and bioturbation are processes that would  
15          initially accelerate the quantity of DOC that would be  
16          released from the sediments. These -- these are the  
17          three processes that have been noted.

18                        And as stated in my testimony, there are no  
19          models available to accurately estimate the release of  
20          DOC from the sediments due to those processes. So the  
21          way in which I handled this -- and this is Exhibit 6B  
22          from CUWA Exhibit 8 -- 6, excuse me.

23                        So the manner in which I addressed this question  
24          was to increase the rate of DOC release that would be  
25          expected, or possible from the sediments. And if you'll,

CAPITOL REPORTERS (916) 923-5447

2217

1 again, put up Table 5-5 -- actually it's -- thank you.

2 And in order to get these numbers here, I used  
3 the values of five milligrams DOC per square meter per  
4 day for the low-end value, and 25 milligrams per -- per  
5 milligrams of DOC per square meter per day to get the  
6 high value. And this is 5 to 25 times greater than the  
7 quantity of DOC that would be estimated to be released  
8 due to molecular diffusion. Now, I think that adequately  
9 addresses the other processes that were identified. That  
10 is to say, pore invasion, bioturbation and wind mixing.

11 The literature states that in order to account  
12 for these processes you generally expect an increase in  
13 the rate of DOC from sediments ranging from three to ten  
14 times what you would observe due to molecular diffusion  
15 alone. And I have used 5 to 25 times greater in my  
16 analysis. And I believe that adequately and  
17 quantitatively addresses the uncertainties associated  
18 with the three processes that have been pointed out.

19 MS. SCHNEIDER: Dr. Kavanaugh, do you consider that  
20 your analysis, in general, is conservative? That is that  
21 your analysis overestimates the probable amount of DOC  
22 that would be released to the water column on average?

23 DR. KAVANAUGH: Yes, I believe it does. It's in  
24 the analysis. I made a series of assumptions and it's  
25 summarized in the first overhead. If you can see it

CAPITOL REPORTERS (916) 923-5447

2218

1           there, it says -- it says -- the title of this is  
2           "Conservative Basis for Diffusion Equations."

3           MS. SCHNEIDER:  And that is a new exhibit, which we  
4           would introduce as Delta Wetlands Exhibit 41.  We have  
5           copies for the Board and parties.

6           DR. KAVANAUGH:  This table -- this chart, this new  
7           exhibit summarizes the key points that I'd like to stress  
8           to the Board why I believe that the analysis I undertook  
9           is conservative.

10           The first bulletin in this chart says "high  
11           values of rate of release from the soil."  I just  
12           mentioned 5 to 25 times faster than molecular diffusion  
13           alone.  Second bulletin says "total area of the islands  
14           contains peat soils."  In other words, the assumption is  
15           that there is peat soils throughout the 11,000 acres of  
16           the two reservoir islands.

17           In fact, as we have heard from other testimony  
18           the islands do not contain peat soil throughout the  
19           islands.  There's considerable aerial extent of soils  
20           that are either devoid of organic carbon, or  
21           significantly reduced.  And so this is, I think, clearly  
22           a conservative assumption.  That is to say, in areas  
23           where there is very little peat soil there would be, by  
24           definition, very little release of DOC.

25           And the third is that the water stored on the

CAPITOL REPORTERS (916) 923-5447

2219

1 islands for 365 days of the year, 12 months, as we've  
2 seen the average is 10 months. Sometimes lower periods  
3 of time, but on average 10 months. So, again, this is a  
4 conservative assumption.

5 The fourth bulletin the rate of diffusion is  
6 constant with time. This is a key point. I have assumed  
7 that the 5 to 25 milligrams of DOC per squared meter per  
8 day will be constant over 365 days. In fact, the rate of  
9 release would decrease with time as the easily removable  
10 DOC would be exhausted from the upper layers of the  
11 sediments. In all of the scientific studies of DOC  
12 release from sediments it decreases with time. And I  
13 have assumed it is constant with time.

14 Last but not least, I've assumed no losses due  
15 to photolysis which is the UV oxidation of organic matter  
16 which we know occurs. When it is oxidized it's often  
17 subject to bacterial degradation. And I have not  
18 accounted for that at all, all though I quantified it in  
19 my testimony and you're welcome to evaluate that. So all  
20 of these factors I think support the opinion that I have  
21 that this is a conservative estimate.

22 MS. SCHNEIDER: Dr. Kavanaugh, in CUWA Exhibit 5  
23 Mr. Krasner completed a sensitivity analysis of the  
24 possible impacts of Delta Wetlands Project on DOC levels  
25 in the export waters. That's in Table 6-7 of CUWA

CAPITOL REPORTERS (916) 923-5447

2220

1 Exhibit 5.

2 In those tables Mr. Krasner selected values of  
3 8, 16, and 32 milligrams per liter. He claims that you  
4 loaned him the 8 milligrams per liter level, and that  
5 that level was considered by you to be optimistic. Is  
6 that true?

7 DR. KAVANAUGH: The statement that the 8 milligrams  
8 per liter number is Mr. Krasner's opinion and is not  
9 mine. We did have a -- I thought a productive meeting  
10 with the CUWA representatives. And Mr. Krasner asked me  
11 what I thought was going to be the level of DOC in the  
12 reservoirs under the DW Project, Delta Wetlands Project.  
13 And I said that I thought it would be, at worse, up to 7  
14 to 8 milligrams per liter.

15 MS. SCHNEIDER: So the 8 milligrams per liter is  
16 really your worse case scenario; is that correct?

17 DR. KAVANAUGH: Yes. That's correct.

18 MS. SCHNEIDER: And in regards to the selection of  
19 32 milligrams per liter and 16 milligrams per liter, are  
20 those extremely high values of DOC likely to occur in a  
21 fully flooded reservoir island?

22 DR. KAVANAUGH: In my opinion, no. These are  
23 highly unlikely ranging on impossible at the 32  
24 milligrams per liter level in my opinion. And I'd like  
25 to demonstrate that with a new exhibit. If you can put

CAPITOL REPORTERS (916) 923-5447

2221

1 the next chart up.

2 MS. SCHNEIDER: Mr. Stubchaer, this is labeled  
3 Table A, "Incremental Mass of DOC Discharge Based on  
4 Assumed Values of DOC in Milligrams Per Liter in  
5 Reservoir on an Annual Basis." And this would be Exhibit  
6 DW 42.

7 DR. KAVANAUGH: What I'd like to demonstrate to  
8 you -- to the Board with this table -- and I hope it's  
9 relatively comprehensible is -- is it probable that such  
10 levels, 32 and 16 milligrams per liter DOC could be  
11 occurring in a full reservoir? This is a reservoir now  
12 that has a 238,000 acre feet in it.

13 And if one assumes that the diverted -- the DOC  
14 in the diverted water is approximately 4 milligrams per  
15 liter and one looks at the increase 6, 8, 16, and 32 and,  
16 obviously, this gives you the incremental increase of the  
17 DOC in this third column, one can easily compute the  
18 quantity of DOC that would be represented by these  
19 assumed numbers, 6, 8, 16, and 32.

20 Now, as you can see that for an assumption of 6  
21 milligrams per liter, which represents an increase of  
22 two, the actual amount of DOC, which is about 600,000  
23 kilograms, is approximately equal to what I have  
24 estimated as a base condition and what is approximately  
25 equivalent to the projected condition.

CAPITOL REPORTERS (916) 923-5447

2222

1                   In other words, under the base condition the  
2                   amount of DOC released from these two islands now, Bacon  
3                   and Webb, is approximately less than -- it's about  
4                   550,000 kilograms. So at 6 milligrams per liter you're  
5                   about 23 percent higher than what is currently coming out  
6                   of those two islands.

7                   Then let's look at the opposite extreme 32  
8                   milligrams per liter. In this case, the quantity  
9                   increase of DOC would be over 8 million kilograms, which  
10                  represents a factor of 17 times the current release from  
11                  the two islands. Now, if you put that in perspective  
12                  across all the Delta Wetlands's lowlands, which is about  
13                  340,000 acres that would represent over 250 million  
14                  kilograms of DOC from the Delta on a annual basis.

15                  And as I pointed out in my testimony, the  
16                  quantity of DOC that's currently being released in the  
17                  agricultural drainage ranges between 12 and 24 million.  
18                  So this is an order of magnitude greater than what's  
19                  currently being released. And that's why I made the  
20                  statement that in a full reservoir 32 milligrams per  
21                  liter is really an impossible number. It would not  
22                  happen.

23                  Now, let's take a look at 16. 16 represents  
24                  around three and a half million kilograms which is now  
25                  seven times greater than the base condition. Six times

CAPITOL REPORTERS (916) 923-5447

2223

1 greater than what I have estimated in my most  
2 conservative estimate of the quantity of DOC that would  
3 be released from the two islands. Again, 16 is highly  
4 unlikely and not credible either. A factor of seven-fold  
5 increase relative to the current agricultural conditions  
6 is -- is highly unlikely.

7 So the most likely conclusion that I have drawn  
8 is that the increase, assuming four is somewhere between  
9 six to eight, most likely six, two milligrams per liter.  
10 So that is further support, I believe, for the fact that  
11 my eight milligrams per liter is a worse-case type  
12 scenario. That the 16 and 32 numbers used by Mr. Krasner  
13 and others is really not credible numbers with respect to  
14 a full reservoir.

15 MS. SCHNEIDER: I'd just like to clarify when  
16 you're talking about 250 million kilograms is that for  
17 just the Delta Wetlands islands, or is that the number  
18 for the entire Delta lowlands area?

19 DR. KAVANAUGH: That's for the entire lowlands  
20 area.

21 MS. SCHNEIDER: In CUWA Exhibit 6 Dr. Losee argues  
22 that the dissolved organic carbon concentration in the  
23 water on the reservoir islands could be as high as 30  
24 milligrams per liter due to leaching of DOC from peat  
25 soils alone without accounting for vegetative biomass.

CAPITOL REPORTERS (916) 923-5447

2224

1 In your opinion is that analysis correct?

2 DR. KAVANAUGH: I think that the analysis that  
3 Dr. Losee undertook is an example of the kind of  
4 approaches that have been taken in analyzing this problem  
5 by some of the CUWA experts. And that is that they have  
6 evaluated a worse-case scenario, which when looked at  
7 closely is a very unrealistic scenario.

8 A new exhibit that I'd like to present to the  
9 Board looks at the Losee -- Losee analysis in the context  
10 of the parameters that he assumed and put into his  
11 equation.

12 MS. SCHNEIDER: We would introduce into evidence as  
13 Delta Wetlands Exhibit 43 a table identified as Table B.  
14 Can you put it up, Patty, Table B "Estimating the Maximum  
15 DOC Release from Sediments Using the Losee Model."

16 MS. SLOMSKI: I don't have it.

17 MS. BRENNER: You have it. It's the next one.

18 MS. SLOMSKI: "Estimating the Maximum DOC"?

19 MS. SCHNEIDER: Yes.

20 DR. KAVANAUGH: This one -- do you want to enter  
21 it?

22 MS. SCHNEIDER: Yes. I introduced it as Delta  
23 Wetlands Exhibit 43 and it's -- copies are being given to  
24 the Board and parties.

25 DR. KAVANAUGH: Now, for purpose of analysis what I

CAPITOL REPORTERS (916) 923-5447

2225

1           have just done here is summarized the model that  
2           Dr. Losee has used to estimate what he thinks would be a  
3           worse case, or likely -- I'm not sure of the words, I  
4           can't remember the words, likely increase in the DOC due  
5           to losses from the peat soil only.

6                        His model shown up here -- and he used the  
7           following parameters: The depth of the sediment layer  
8           that would be completely mixed with the water column.  
9           Dr. Losee used half a foot. I am proposing three inches.  
10          The basis for that is that as noted in my testimony that  
11          mixing conditions in the reservoir islands are not likely  
12          to mix a very deep layer, on the order of a few  
13          centimeters. And the data are there to support that and  
14          so consequently I would reduce that to .25 feet.

15                       The second parameter is the fraction of organic  
16          carbon. Dr. Losee used 10 percent .1. We have recently  
17          collected data that Mr. Holtgren has evaluated, the data  
18          showed that the organic carbon fraction on the reservoir  
19          islands is approximately 20 percent. Based on data  
20          indicating that there is 35 percent organic matter on the  
21          islands on average. And about 50 percent of that would  
22          be organic carbon.

23                       The bulk density numbers are similar. The key  
24          parameter, however, is the fraction of organic carbon  
25          that would be converted to DOC. And you'll remember on

CAPITOL REPORTERS (916) 923-5447

2226

1 the cross-examination, perhaps, Dr. Losee agreed that his  
2 20-percent value may be too high and felt that 2 percent  
3 might be a more reasonable number. In fact, the Deverel  
4 article that I quoted in my testimony suggests that only  
5 one percent of the peat soil organic carbon is available  
6 to be converted to DOC.

7 The data from Dr. Deverel is measurements in the  
8 Delta soils. The data that Dr. Losee used is from the  
9 Artic Ocean with -- in conditions that are, obviously,  
10 not similar to what we see in the Delta. But I have used  
11 in this analysis the 2 percent, or .02, which I think we  
12 agreed to in some informal negotiations that occurred  
13 during the cross-examination. The 20 feet of water is  
14 the same.

15 This gives a change in DOC according to  
16 Dr. Losee of 300 milligrams per liter and according to my  
17 analysis, only 30. The next key point and one that is  
18 very important is: How fast does this peat soil convert  
19 to DOC, instantaneously? These are slow processes.  
20 Dr. Losee assumed that the ten cycles would release all  
21 of this.

22 If you assume a filling and draining cycle of  
23 once a year, that would be ten years. And I did not see  
24 any data to support that assumption of ten cycles. One  
25 way to look at it is to ask the question: Well, how fast

CAPITOL REPORTERS (916) 923-5447

2227

1 does the peat get converted to DOC?

2 On the basis of a rate equation, that is the  
3 rate of decomposition, there are data available that  
4 indicate that this is a fairly slow process. If one  
5 looks at this as a rate constant of .001 per day, which  
6 is a reasonable way to approach this, one sees that 99.9  
7 percent of the DOC would be converted into DOC in the  
8 water column within about 20 years. So a number of 20  
9 is, I think, credible and justifiable and that gives you  
10 a number than of 1.5 milligrams per liter in the water  
11 column and not the number of 30.

12 Even if you accept the ten years, it's still  
13 only three. So somewhere between one and a half and  
14 three is the number that I think is more credible using  
15 the Dr. Losee model. And that happens to be consistent  
16 with the analysis that Dr. Brown has completed and also  
17 the analysis that I presented.

18 HEARING OFFICER STUBCHAER: Ms. Schneider, how many  
19 more questions of this witness, just for the purposes of  
20 scheduling the break?

21 MS. SCHNEIDER: Enough that we should have a break.

22

23 HEARING OFFICER STUBCHAER: Okay. We'll take the  
24 afternoon break.

25 (Recess taken from 2:45 p.m. to 2:59 p.m.)

CAPITOL REPORTERS (916) 923-5447

2228

1 HEARING OFFICER STUBCHAER: We're back on the  
2 record.

3 MS. SCHNEIDER: Dr. Kavanaugh, in CUWA Exhibit 5  
4 Mr. Krasner presents an analysis of possible impacts of  
5 the Delta Wetlands Project on DOC --

6 DR. KAVANAUGH: I'm sorry. We're on the bottom of  
7 page four?

8 MS. SCHNEIDER: Let me start that question again.  
9 In CUWA Exhibit 5 Mr. Krasner presents an analysis of  
10 possible impacts of the Delta Wetlands Project on DOC in  
11 export water under a selected discharge scenario.

12 Does his analysis show that the Delta Wetlands  
13 Project will have a significant affect on DOC in export  
14 waters?

15 DR. KAVANAUGH: I'd like to extract some of the  
16 information from Mr. Krasner's exhibit, and enter that as  
17 a new exhibit to answer that question. This is Table C,  
18 the title of it is, "Impact of Delta Wetlands Project on  
19 Annual Averages in Support of DOC."

20 MS. SCHNEIDER: And that would be Delta Wetlands  
21 Exhibit 44.

22 DR. KAVANAUGH: In Mr. Krasner's analysis, which is  
23 in CUWA's Exhibit 5, he undertook an assessment of the  
24 DOC discharges on DOC levels in the export waters. And  
25 he covered a period of time of 17 months. This distorts

CAPITOL REPORTERS (916) 923-5447

2229

1 the analysis of the project, because it includes two  
2 Delta Wetlands diversion and discharge events.

3 A more appropriate assessment of his data is to  
4 look at a one-year evaluation, that is 12 or 13 months.  
5 And I've done so in this table, Table C. This Table C  
6 contains the data from Mr. Krasner's Exhibit Table 6,  
7 CUWA Exhibit 5. And it includes the first column with  
8 the months from May through April. It includes the base  
9 condition dissolved organic carbon at the Banks station.  
10 And you can see that the annual average is 3.43  
11 milligrams per liter DOC.

12 I've also compared a number that I want to  
13 interject and bring to the Board's attention. And this  
14 is a number called the running monthly average, which in  
15 this case is a running average based on one -- on monthly  
16 averages. And you can see that in this database of 12  
17 months average DOC, the DOC exceeds 4 milligrams per  
18 liter 4 out of the 12 months. But when one uses a  
19 running monthly average, which is going to be the basis  
20 for all compliance requirements in the Safe Drinking  
21 Water Act you can see the running average never exceeds  
22 3.6.

23 HEARING OFFICER STUBCHAER: Question.

24 DR. KAVANAUGH: Yes.

25 HEARING OFFICER STUBCHAER: If you were to continue

CAPITOL REPORTERS (916) 923-5447

2230

1           that for another year would the second year start at the  
2           3.43 and keep increasing eight-tenths?

3           DR. KAVANAUGH:  It certainly could, Mr. Stubchaer.  
4           It -- depending upon what these numbers are.

5           HEARING OFFICER STUBCHAER:  So then would a more  
6           appropriate time be two years instead of one year?

7           DR. KAVANAUGH:  A longer record is most  
8           appropriate, yes, and two years would be better than one  
9           year.  The important point about the running monthly  
10          averages, however, is it does tend to account for  
11          exceedances of the normal averages.  In other words, it  
12          takes care of outliers.

13          HEARING OFFICER STUBCHAER:  Wouldn't one expect the  
14          running monthly average to wind up -- you only have 11  
15          values there.  So if you hit the next value, wouldn't you  
16          expect it to wind up where it began?

17          DR. KAVANAUGH:  I think it depends on what happens  
18          the next year.

19          HEARING OFFICER STUBCHAER:  Is this -- is this a --  
20          a particular year like a beginning year?

21          DR. KAVANAUGH:  This is -- this is the start of the  
22          data that Mr. Krasner used and then he extended that on  
23          for another five months.

24          HEARING OFFICER STUBCHAER:  So it hadn't quite  
25          reached some sort of equilibrium?

CAPITOL REPORTERS (916) 923-5447

2231

1 DR. KAVANAUGH: No, it hasn't reached an  
2 equilibrium. That's correct. Now, the main purpose of  
3 this chart -- and, of course, I raised the whole issue  
4 about this running monthly average and we'll come back to  
5 it, is to compare the annual averages, or the option of  
6 discharge off of the DW island if the DOC in the  
7 reservoir were to be 8 milligrams per liter.

8 And as you can see based on that if you look at  
9 the average these are essentially the same as a slight  
10 decrease, actually, in the average DOC, even discharging  
11 the DOC at eight milligrams per liter. When you even go  
12 up to the 16 milligrams per liter you see an increase on  
13 the annual average of only 0.08. You can see 9 of the 12  
14 months of the year there's an actual benefit of the  
15 project, because of the removal of the agricultural  
16 drainage.

17 And it is during these three months of discharge  
18 when you do get impacts where the DOC in the export  
19 waters is increased relative to the historical values, if  
20 you assume that the numbers 8 and 16 are correct. And as  
21 I pointed out, I consider 8 to be the worse case in my  
22 analysis. So one should keep in mind these numbers,  
23 these numbers are highly unlikely.

24 MS. SCHNEIDER: In CUWA Exhibit 5-C Mr. Krasner  
25 summarizes Stage I and Stage II disinfectant disinfection

CAPITOL REPORTERS (916) 923-5447

2232

1           by-product rule. Is this a complete summary of the rule  
2           as you understand it?

3           DR. KAVANAUGH: Mr. Krasner used this to present a  
4           number of other issues related to the Stage I and  
5           Stage II disinfection by-product -- disinfection  
6           by-product rule. I put together another summary which I  
7           believe is more complete in that it includes the  
8           compliance requirements. That is to say how the Stage I  
9           rules will, in fact, be implemented and how utilities  
10          will be evaluated as to whether or not they are in  
11          compliance. This is a new table, D.

12          MS. SCHNEIDER: And we would offer into evidence  
13          Table D, which is entitled "SDWA Disinfection By-product  
14          Rule Proposed Stage I." And that would be DW Exhibit 45.

15  
16          DR. KAVANAUGH: What I've tried to summarize in  
17          this chart is the significant details of this proposed  
18          Stage I rule that I think are very relevant to the  
19          Board's deliberations.

20          What is shown here, of course, is the  
21          promulgation date and everyone agrees it's likely to be  
22          promulgated in November of 1998. Mr. Krasner mentioned  
23          that all the parties had agreed to all of the essential  
24          details last week. This shows the proposed maximum  
25          contaminate levels for THM's, haloacetic acids and

CAPITOL REPORTERS (916) 923-5447

2233

1 bromate. And it also shows the data for removal of total  
2 organic carbon, percent removal of 30 percent, if you're  
3 between 2 and 4; 35 if you're between 4 and 8. You'll  
4 note that there's no 20-percent safety factor required.

5 So to my knowledge and to our knowledge there's  
6 no requirement in this Stage I that says that you have to  
7 meet any kind of a safety factor in this regard. You  
8 might choose to do so because of the way you operate your  
9 plant, but there's no requirement.

10 Now, the key point on the compliance  
11 requirements is how frequently do you have to monitor to  
12 show that you're meeting these various standards? In the  
13 case of the disinfection by-products it's based on  
14 quarterly samples for the organic disinfection  
15 by-product, monthly for bromate. And primarily for  
16 bromate because of the scarcity of information available  
17 on bromate. And what you also see is: How will this be  
18 determined whether or not you're in compliance? The  
19 number that will be used is the quarterly running annual  
20 average. That is to say, an annual average based on this  
21 quarterly monitoring.

22 Now, let's get to the total organic carbon,  
23 which is a very key issue in this dispute, or proceeding.  
24 Again, monthly sampling will be required. Certainly,  
25 larger utilities will monitor more frequently. And,

CAPITOL REPORTERS (916) 923-5447

2234

1           again, in order to determine whether or not you are in  
2           compliance with the percent removal requirements and,  
3           again, most utilities using Delta -- using -- relying on  
4           export water from the Delta will be required to remove 30  
5           percent. This is based on an alkalinity of roughly 60  
6           milligrams per liter you're going to, again, see it's a  
7           quarterly running average. That is to say you will  
8           measure your percent removal on a monthly basis, you will  
9           compute a quarterly running average and you will compare  
10          that average to the requirement of 30 percent. If you're  
11          over -- if you're under 30 percent you'll be out of  
12          compliance and must proceed accordingly.

13                    I think this is key. This is not a daily  
14          requirement. This is not a continuous requirement. This  
15          is a quarterly running annual average. And this is very  
16          intentionally done to account for a high degree of  
17          natural variability in natural systems across the country  
18          where surface waters are being treated.

19                    All right. I wanted to address the second half  
20          of Mr. Krasner's discussion of the disinfection,  
21          disinfection by-product rule. And that's the Stage II.  
22          And I think the key here with respect to Stage II is that  
23          it is very much in the developmental stage. Information  
24          is just now being collected under the Information  
25          Collection Rule to provide a basis for the final Stage II

CAPITOL REPORTERS (916) 923-5447

2235

1 requirements.

2 I put together a new figure to, I think,  
3 summarize pictorially what is going on with respect to  
4 Stage II. And I think it's important to see that once  
5 Stage I is promulgated and actually in parallel with  
6 that, there are significant information requirements that  
7 are in progress. The Information Collection Rule -- I'm  
8 sorry, I should identify this as Figure A and it's a new  
9 exhibit.

10 MS. SCHNEIDER: Yes, this will be Exhibit DW 46.

11 DR. KAVANAUGH: And the title of this is "D  
12 backslash DP Rule, Stage II Development Steps, General  
13 Overview."

14 The kinds of information that must -- that  
15 remain to be developed, or remain to be collected include  
16 the monitoring results from the information specified  
17 under the Information Correction Rule, Analytical  
18 Development. For example, you've heard that bromate MCL  
19 might drop to five. Currently the practical  
20 quantification limit for bromate is ten micrograms per  
21 liter. So clearly in order to go to five you'd have to  
22 develop new and better techniques.

23 There's significant health defects research  
24 underway. There's a significant amount of treatment  
25 research that remains to be done. All of this

CAPITOL REPORTERS (916) 923-5447

2236

1 information will then be put into the regulatory  
2 negotiation process and a final rule will potentially be  
3 promulgated by the year 2002. So the point of this chart  
4 is to illustrate, number one, how much information  
5 remains to be collected in order to set the stage for  
6 defining the actual numbers that are included in the  
7 Stage II Rule. And also to point out that to talk about  
8 them now as fixed numbers is quite premature.

9 MS. SCHNEIDER: You've discussed the complexity of  
10 the Stage II rule and the need for much more study before  
11 that final definition of the Stage II Rule is  
12 promulgated; is that correct?

13 DR. KAVANAUGH: Yes.

14 MS. SCHNEIDER: Do you have additional support for  
15 your opinion?

16 DR. KAVANAUGH: Yes, I do. We have obtained a copy  
17 of a letter that was sent to Mr. Byron Buck, who's the  
18 Executive Director of CUWA, of course, from Mr. Robert --  
19 let me read his name because it is a long one,  
20 Derciasepe, who is the assistant administrator for the  
21 Clean Water Program. I'll spell it for the person here,  
22 D-E-R-C-I-A-S-E-P-E. I meant to say Court Reporter,  
23 excuse me.

24 MS. SCHNEIDER: And is that letter dated  
25 May 7, 1997?

CAPITOL REPORTERS (916) 923-5447

2237

1 DR.KAVANAUGH: Yes, it is.

2 MS. SCHNEIDER: We would introduce that into  
3 evidence as Delta Wetlands Exhibit 47.

4 DR. KAVANAUGH: This is a lengthy letter and I  
5 think it should be -- it, certainly, will be part of the  
6 record. I wanted to highlight, I think, two points that  
7 are stated in this letter that illustrate the current  
8 status of the Stage II rules.

9 And on page two the Mr. Derciasepe states: That  
10 in light of the ongoing work in both of these two areas,  
11 referring to Stage II and the Enhanced Surface Water  
12 Treatment Rule, it is too early in the Stage II  
13 regulatory development process to confirm whether  
14 specific future regulatory control options will, or will  
15 not be carried forward.

16 He goes on to say in the second paragraph of his  
17 letter: While your study, referring to the CUWA study  
18 which was included as part of my exhibit, applies a  
19 reasonable reflection of current knowledge, the entire  
20 premise of the process for developing the long-term rules  
21 is that we will approve substantially on our present  
22 understanding.

23 So I think this letter, again, just stresses the  
24 importance of the process that is underway for Stage II.  
25 And it is premature to use any of the Stage II numbers as

CAPITOL REPORTERS (916) 923-5447

2238

1 a basis for a decision making at this time.

2 MS. SCHNEIDER: I'm returning to Mr. Krasner's  
3 Exhibit 5-H. Mr. Krasner used as DOC data and the  
4 Malcom-Pirnie revised THM Model to predict that possible  
5 impacts of the Delta Wetlands Project on THM formation.  
6 He then stated that these results show that utilities  
7 would lose, quote, a margin of safety, unquote.

8 Aside from the fact that DOC values of 16 and 32  
9 milligrams per liter are unlikely, is his chart an  
10 accurate assessment of what might happen at the treatment  
11 plant?

12 DR. KAVANAUGH: No, I don't think it is. Again,  
13 one of the questions that was asked of Mr. Krasner is  
14 whether or not THM's are formed in the Delta. And, of  
15 course, the answer was, no. This chart, in fact, is  
16 based on using DOC levels that are in at the H.O. Banks  
17 pumping station. So this, in fact, is an artificial way  
18 of estimating THM formation if you took the Banks water  
19 directly and exposed it to treatment. And then a  
20 subsequent chlorination and -- and then you would use the  
21 Malcom-Pirnie revised model to estimate your quantities.

22 What you see, again, is that for the base  
23 condition in the 8 milligrams per liter approximately  
24 similar results. It's only when you get into higher  
25 numbers that you see very high exceedances above the

CAPITOL REPORTERS (916) 923-5447

2239

1           Stage I standard. In fact, when you undertake a  
2           coagulation process you would, of course, significantly  
3           reduce the amount of DOC that would be exposed to TH2  
4           chlorination. And as a result you would see numbers  
5           significantly lower than this.

6                     The use of this type of analysis was what  
7           Dr. Brown did, and that was he compared the DW project to  
8           a no-project condition. So it's useful for a comparative  
9           analysis. But it does not tell you what's going to  
10          happen at the treatment plant. I would, again, like to  
11          take Mr. Krasner's numbers and put them on a 12-month  
12          basis and use this data to show what appears to be  
13          happening with respect to this particular analysis.

14                    This is a new table, Table E. And the title of  
15          this table is "Comparison of Median and Quarterly Running  
16          Annual Values for THM Formation Using the Pirnie Model."

17                    MS. SCHNEIDER: I'd like to introduce that as Delta  
18          Wetlands Exhibit 48.

19                    DR. KAVANAUGH: Now, this data, again, comes from  
20          Table 7 of CUWA Exhibit 5. And, again, I've put this on  
21          a 12-month basis for the 13 months added to make it  
22          easier for me to get a median value.

23                    These are then the THM simulated formation  
24          potential using the DOC values that are in the H.O. Banks  
25          export -- at the export location. And you can see that

CAPITOL REPORTERS (916) 923-5447

2240

1           during the months of July, August, and September, during  
2           the time of DW discharges, there is some elevation in the  
3           THM levels.

4                     One, again, must look at the quarterly running  
5           average here. Again, you need a longer record for this,  
6           but this just illustrates the manner in which the  
7           quarterly running average would be computed. You take  
8           the three monthly numbers you come up with a quarterly  
9           average. You take the next three numbers you come up  
10          with an average. You average that with the previous  
11          value and so on. And you get your monthly, your  
12          quarterly, approximately, running annual average.

13                    What you can see from the base condition is a  
14          median value and a quarterly running annual average that  
15          are somewhat similar, a little higher for the quarterly  
16          running average. Next, if we look at the DW Project  
17          under the eight milligram assumed DOC level you can see  
18          that the median value, actually, decreases a little bit  
19          because you now have some advantages. You get a benefit  
20          during the nine months when you're not discharging.  
21          There's no agricultural drainage.

22                    The three months during the times when you have  
23          a discharge you can see that there is increase of 72 to  
24          78; 76 to 89. So you do see some increases during those  
25          three months of discharge which leads to a slight

CAPITOL REPORTERS (916) 923-5447

2241

1 increase in the quarterly running average, but they are  
2 comparable at the end of the year.

3 Now, again, one would have to take a larger  
4 database in order to verify what was going on here. The  
5 point of this chart is, again, to show that the quarterly  
6 running annual average is going to be the basis for  
7 compliance. And when put on that basis you see  
8 essentially no difference between the base condition and  
9 the eight milligrams per liter, which as I pointed out is  
10 my worse case scenario. Even going up to the 16  
11 milligrams per liter discharge, which as I said is highly  
12 unlikely, you see a relatively modest increase in the  
13 quarterly running average of THM's.

14 Let me just point out one last key issue here.  
15 I have used the median level of bromide in these  
16 analyses, because I think that's a more reasonable  
17 number. The median value of bromide at the H.O. Banks.  
18 You heard that bromide has a greater impact on THM's and  
19 DOC. In the exhibit from Mr. Krasner he used the 90th  
20 percentile value which tends to, of course, show much  
21 higher values by 10 to 20 percent. So I believe using  
22 the median value, which he did do a chart of the median  
23 value, is a more appropriate way to analyze this problem.

24 MS. SCHNEIDER: In Mr. Krasner's direct testimony  
25 he stated that the Delta Wetlands Project could lead to

CAPITOL REPORTERS (916) 923-5447

2242

1 significant increases in treatment costs due to projected  
2 increases in DOC at the export pumps.

3 For example, he stated that Contra Costa Water  
4 District would experience a significant increase in  
5 annual operating costs due to the Delta Wetlands Project.  
6 In your opinion, are his conclusions correct?

7 DR. KAVANAUGH: Mr. Krasner did an analysis of that  
8 issue with respect to treatment costs. And I've taken  
9 the liberty of summarizing that information as well as  
10 others in a new chart, Table G.

11 MS. SLOMSKI: Table G?

12 DR. KAVANAUGH: It's the third one. Put that one  
13 up there. And this is a new exhibit and I'll give the  
14 title, "Impact of DW Project on Water Treatment Costs."

15 MS. SCHNEIDER: And we would introduce that as  
16 Delta Wetlands Exhibit 49.

17 DR. KAVANAUGH: Now, what this chart summarizes is  
18 the -- some of the issues related to water treatment  
19 costs. Under a no-project alternative using  
20 Mr. Krasner's numbers, Table 6, CUWA Exhibit 5, we have  
21 an annual average of DOC of 3.4 milligrams per liter. In  
22 order to meet the Stage I requirements for D/DBP, you  
23 would have to complete at least 25 to 30 percent removal  
24 of this DOC, that would be completed by enhanced  
25 coagulation.

CAPITOL REPORTERS (916) 923-5447

2243

1                   If there was no coagulation process present at  
2                   the treatment plant, that is no coagulation was in place,  
3                   the cost would be \$26 per acre foot according to  
4                   Mr. Krasner's analysis. However, most treatment plants  
5                   in the Delta currently have coagulation. In fact, I'd  
6                   say all of them have it. It's just a question of what  
7                   kind of coagulant doses they use.

8                   So, consequently, the more appropriate number  
9                   would be the incremental cost. An example would be  
10                  Contra Costa County's Bollen plant where the current alum  
11                  dose is roughly 30 milligrams per liter. How much  
12                  additional alum would be required under the enhanced  
13                  surface water treatment -- under enhanced coagulation,  
14                  one has to look then at the incremental increase in  
15                  treatment costs due to changes in the DOC, because the  
16                  enhanced coagulation is already going to be required  
17                  regardless of the DW -- Delta Wetlands Project.

18                  What I've shown here is under the Delta Wetlands  
19                  Project for eight milligrams per liter, as shown in my  
20                  previous chart, the annual average drops slightly to  
21                  3.41, essentially equivalent. So there would be no  
22                  change in the base condition with respect to treatment  
23                  requirements. In other words, you still have to  
24                  implement enhanced coagulation. You would not have to do  
25                  anything else. And there could potentially be a slight

CAPITOL REPORTERS (916) 923-5447

2244

1 decrease in cost if you take credit for the removal of  
2 the agricultural drainage during the nine months of the  
3 year when agricultural drainage would no longer be  
4 discharged.

5 Now, I've stated previously that if you removed  
6 all of the agricultural drainage from all four of the  
7 Delta Wetlands islands you would see a decrease in the  
8 DOC at the export pumps of approximately .08 milligrams  
9 per liter, or roughly .1 milligrams per liter. So  
10 comparing to the base condition this could drop the  
11 annual average down to 3.3. And this could lead to a  
12 possible decrease in treatment costs of approximately 50  
13 cents per thousand gallons. So what you're looking at if  
14 you increase or decrease the dissolved organic carbon on  
15 an annual basis by a tenth of a milligram you're looking  
16 at a cost estimate of about 50 cents per thousand per  
17 acre feet.

18 HEARING OFFICER STUBCHAER: Per acre foot.

19 DR. KAVANAUGH: Per acre foot, excuse me. So it  
20 could be a benefit. It could be a slight increase. I've  
21 shown up here for the sake of completeness the 16  
22 milligrams per liter number, even though I don't expect  
23 that to occur. Here you see an increase of up to about  
24 3.51, or roughly an increase of .1 milligrams per liter  
25 DOC. And here you would see an increase then of roughly

CAPITOL REPORTERS (916) 923-5447

2245

1 40 to 50 cents per acre foot in the annual treatment  
2 costs.

3 Again, one has to look at the balance over the  
4 year. There would be a slight increase in costs during  
5 the months of discharge. There would be a slight  
6 decrease in costs during the months of nondischarge if  
7 one accepts credit for removing the agricultural drainage  
8 from the Delta.

9 I wanted to -- if I could just put into  
10 perspective the issue of treatment costs and treatment  
11 operation in the context of looking at H.O. Banks DOC  
12 versus the concentration of DOC and other parameters  
13 throughout the State Water Project.

14 If you could place on the overhead Figure B, --  
15 MS. SCHNEIDER: We, actually, have two figures, a  
16 Figure B and a Figure C that I'd like to introduce now so  
17 as not to interrupt Dr. Kavanaugh. Figure B is entitled  
18 "Total Organic Carbon in the State Water Project." And  
19 that would be Delta Wetlands Exhibit 50. And Figure C,  
20 is not up, but it will be entitled "Bromide in the State  
21 Water Project." And that would be Delta Wetlands  
22 Exhibit 51.

23 DR. KAVANAUGH: Mr. Stubchaer, this information is  
24 taken from the California State Water Project Sanitary  
25 Survey report dated 1996, published as a draft. Final

CAPITOL REPORTERS (916) 923-5447

2246

1 report January 1, 1996. It has the California Department  
2 of Resources as the author. And we would propose to have  
3 this incorporated by reference, but the document is  
4 clearly available.

5 This particular chart summarizes the total  
6 organic carbon levels at various locations within the  
7 State Water Project. And referring first -- I lost my  
8 light here. I have -- if I -- let's see, how can I do  
9 this? We refer to the first -- second column there it  
10 says "Banks." And you can see that this is the famous  
11 Box and Whisker plots. And I know this causes eyes to  
12 roll so let's be as quick as possible.

13 The median value shown there is four. There is  
14 a relatively steady value -- thank you, we're getting  
15 replacements here as we speak, Banks checkpoint 13, 21.  
16 And so you see that the median values are roughly  
17 comparable, a little bit of increase in some locations,  
18 significant ranges. And you see some decrease with  
19 distance. Castaic Lake has a lower value, Devil Canyon.  
20 The database, of course, is somewhat limited here.

21 So the point of this chart is not to prove that  
22 DOC decreases as it moves down through the State Water  
23 Project, which it might do, but rather to stress the  
24 point that each individual utility must look at the  
25 quality of the water at the point where they extract it

CAPITOL REPORTERS (916) 923-5447

2247

1 and treat it in order to evaluate their treatment  
2 requirements.

3 So clearly the utility using Castaic Lake as  
4 their terminal reservoir is going to evaluate TOC data  
5 over time and not be looking at the changes in DOC at the  
6 H.O. Banks. For example, the range of values is lower  
7 here indicating, of course, the changes in -- during  
8 transport and the fact that the water is stored in  
9 Castaic Lake.

10 HEARING OFFICER STUBCHAER: Do you know where San  
11 Luis Reservoir would be on that? Is that by the Delta  
12 Mendota Canal?

13 DR. KAVANAUGH: I have the map of that. And let's  
14 see if I can quickly get it. It doesn't look like it.  
15 Let's see, San Luis I think is check 13. I'm not exactly  
16 sure.

17 HEARING OFFICER STUBCHAER: All right.

18 DR. KAVANAUGH: Check 13 is further down. I think  
19 San Luis is somewhere around the DMC.

20 HEARING OFFICER STUBCHAER: Okay. Thank you.

21 DR. KAVANAUGH: Yeah. And, of course, Silverado is  
22 further on down -- Silver Lake, excuse me.

23 The next chart shows a similar summary of data  
24 for bromide. And, again, you can see that in this case  
25 we do have San Luis which is in between. And what you

CAPITOL REPORTERS (916) 923-5447

2248

1 see here when compared to Banks, .22 median value. A  
2 slight increase as we move further down the State Water  
3 Project, which would be indicative of evaporative losses.  
4 And if one looks at total dissolved solids this is an  
5 even more dramatic change as you move down the State  
6 Water Project.

7 So this, again, points out the importance of  
8 looking at the water quality at the point of extraction  
9 for treatment as opposed to what exactly is going on at  
10 the Banks station. Now, this, again -- these charts both  
11 Figure B and C, again, stress the significant degree of  
12 variability that is present in surface water sources, and  
13 the Delta is no exception.

14 And what water utilities do in order to be sure  
15 that they're meeting their requirements is incorporate  
16 into their plant design sufficient operational  
17 flexibility so that these kinds of variabilities can be  
18 easily handled. And I've summarized some data from two  
19 plants who use -- rely on Delta export water in a new  
20 table, Table F. The title of this table is, "Impact of  
21 Source --

22 MS. LEIDIGH: Just for the record --

23 DR. KAVANAUGH: Yes.

24 MS. LEIDIGH: -- that last one that we were looking  
25 at was Figure C. And it was Delta Wetlands 51. It was

CAPITOL REPORTERS (916) 923-5447

2249

1 referred to as "this figure."

2 DR. KAVANAUGH: I'm sorry.

3 MS. LEIDIGH: And this one is --

4 DR. KAVANAUGH: And this is also from the State  
5 Water Project Sanitary Survey dated 1 January 1996.

6 MS. LEIDIGH: Okay. I have a question with regard  
7 to that: Is Delta Wetlands offering that sanitary survey  
8 report in evidence?

9 HEARING OFFICER STUBCHAER: They said by reference.

10 MS. BRENNER: Just by reference.

11 MS. LEIDIGH: Okay. But you are planning to offer  
12 it in evidence by reference, so it will need an exhibit  
13 number. And it will have to be offered, right?

14 MS. BRENNER: These are the only pertinent portions  
15 of that report that we're taking out.

16 MS. LEIDIGH: Okay. Then you can just offer these  
17 and that would be fine.

18 MS. BRENNER: I'd like to just offer these and not  
19 the whole report.

20 MS. LEIDIGH: Okay. Thank you.

21 DR. KAVANAUGH: All right. Please, put Table F up.  
22 Now, what is summarized in this table, whose title is  
23 "Impact of Source Water Quality on Water Treatment Plant  
24 Design Primary Coagulant Dose Requirements --

25 MS. SCHNEIDER: Let me interpret you. That will be

CAPITOL REPORTERS (916) 923-5447

2250

1 Delta Wetlands Exhibit 52.

2 DR. KAVANAUGH: What we -- what I have summarized  
3 here is three water treatment plants in Contra Costa  
4 Water District: The Bowman and Randell Bolt plants, in  
5 the Santa Clara Water District Santa Theresa water  
6 treatment plant, what's shown as the water sources. And  
7 then the water treatment plant process trains.

8 I just draw your attention to the coagulant  
9 doses that have been incorporated into these plants. As  
10 you can see the average at Bowman is 35. They have the  
11 capabilities to go up to 60. Randel Bolt is only 3,  
12 because they use direct filtration, but it can go up to  
13 20. Santa Theresa average of 10, maximum of 60. So  
14 these are just three examples of treatment plants that  
15 currently rely on export waters from the Delta. And they  
16 have addressed the degree of variability that we observed  
17 by making sure that their treatment plants have the  
18 necessary flexibility to deal with varying levels of DOC  
19 and turbidity.

20 MS. SCHNEIDER: There has been testimony that you  
21 did not consider the possible recirculated water from the  
22 seepage control system as a source of DOC onto the  
23 reservoir islands.

24 Have you looked at this issue and what is your  
25 conclusion?

CAPITOL REPORTERS (916) 923-5447

2251

1 DR. KAVANAUGH: Yes, I have. And I've prepared a  
2 new table to summarize this information. As you may  
3 recall one of the questions that was raised during  
4 cross-examination was whether or not the seepage water  
5 that is proposed to be collected and then recirculated  
6 back to the reservoirs would contain a significant  
7 quantity of dissolved organic carbon, and thereby  
8 represent an additional source.

9 And I stated during that, that I had not looked  
10 at that issue. In this new table, Table H, which has the  
11 title "Estimated Impact of Recirculated Seepage Return  
12 Flow on the DOC, Dissolved Organic Carbon Budget."

13 MS. SCHNEIDER: That would be introduced as Delta  
14 Wetlands Exhibit 53.

15 DR. KAVANAUGH: This table summarizes my assessment  
16 of this particular source of DOC. What I have summarized  
17 here is, first, the quantity of recirculated seepage  
18 passing through the peat soil. The peat soil -- the  
19 seepage passing through the peat soil would be the  
20 potential primary source of DOC.

21 Based on estimates completed by Mr. Ed Hultgren  
22 the quantities are shown for Bacon Island and Webb  
23 Island. The number of days expected to be pumped are  
24 approximately 180 days. This gives a total flow as shown  
25 2700 acre feet for Bacon Island; and 900 acre feet for

CAPITOL REPORTERS (916) 923-5447

2252

1 Webb Island.

2 The estimated DOC in that seepage water,  
3 certainly, this is an unknown. I have chosen 20  
4 milligrams per liter because that is equivalent to the  
5 DOC that you currently see in the agricultural drainage  
6 on average. I think that's a reasonable number.  
7 Certainly, there are ranges of DOC values in the pore  
8 waters. It's uncertainly what the concentration is going  
9 to be due to very slow movement of the water through the  
10 peat soil. So 20 milligrams per liter, I think, is a  
11 reasonable number.

12 This gives a certain mass of DOC in the  
13 recirculated seepage. And I have compared that to the  
14 total DOC loading as estimated in my Table 5-5 in the  
15 CUWA Exhibit, DW 13. And you can see that it represents  
16 less than four percent of the estimated DOC that I am  
17 projecting. So based on this calculation and, of course,  
18 I'm relying on the analysis of Mr. Holtgren, this would  
19 not represent a significant new DOC source to the  
20 islands, the reservoir islands.

21 MS. SCHNEIDER: I have a final question,  
22 Dr. Kavanaugh. CUWA recommends that no discharges from  
23 Delta Wetlands's reservoir islands be allowed if  
24 reservoir water DOC levels exceed ambient DOC levels in  
25 the channels.

CAPITOL REPORTERS (916) 923-5447

2253

1                   Given your analysis of DOC changes expected in  
2                   the reservoirs, do you think that Delta Wetlands would be  
3                   able to discharge if the CUWA condition were imposed?

4                   DR. KAVANAUGH: No, I don't think that they would  
5                   be able to discharge off of the islands if that is the  
6                   condition of the permit.

7                   As I stated in my analysis, I expect the DOC in  
8                   the reservoir islands to increase, but not at the  
9                   magnitude that has been proposed by the commenters on the  
10                  application. As I've stated somewhere between one to two  
11                  milligrams per liter increase is what I expect. It could  
12                  be somewhat higher. It could be somewhat lower.  
13                  Clearly, if you presume that the DOC in the diverted  
14                  water is approximately four, the level will then be  
15                  somewhere in the range of five to six.

16                  The ambient DOC in the channels during the  
17                  months of discharge are likely to be in the range of  
18                  three to four. So because of this, you would likely  
19                  never be able to discharge off of the islands. The  
20                  important point here is to consider the quantities of DOC  
21                  and to think of them, "quantities" in the context of  
22                  constraints on the project.

23                  The Delta Wetlands Project, in my view, is not  
24                  going to contribute DOC greater than what is currently  
25                  being contributed. And so the approach really has to be

CAPITOL REPORTERS (916) 923-5447

2254

1 based on the impact at the export locations and not at  
2 the ambient conditions in the channel.

3 MS. SCHNEIDER: Thank you. Our next rebuttal  
4 witness is Dr. List. As Dr. List gets ready, I'd like to  
5 introduce into evidence another exhibit, it would be  
6 Delta Wetlands --

7 MS. BRENNER: 54.

8 MS. SCHNEIDER: 54. And it's comprised of three  
9 figures. Figure 1 is entitled "Agricultural Return Flow  
10 From Bacon Island, Comparison of Measured and FDM  
11 Values."

12 Figure 2 is entitled "Bacon Island Drainage  
13 Volume Flow Rate, Comparison of Averaged Measured and FDM  
14 Values." And Figure 3 is entitled, "Bacon Island Return  
15 Salt Flux, Comparison of Measured and FDM Values."

16 Dr. List, you were contacted by Contra Costa  
17 Water District regarding the agricultural return  
18 salinities from Bacon Island; isn't that correct?

19 DR. LIST: Yes. On July the 3rd my office received  
20 a fax from Contra Costa Water District, which is  
21 basically included as Figure 1 here, which is -- do we  
22 have Figure 1? Which was a comparison of salinities of  
23 drainage water from Bacon Island as measured by the  
24 municipal water quality investigation, which is the  
25 bottom curve here, or the bottom scatter of dots which

CAPITOL REPORTERS (916) 923-5447

2255

1 would put an average curve through it in comparing that  
2 to the concentration of drainage water that was used in  
3 the simulation that were performed with the Fischer Delta  
4 Model.

5 The conclusion that Contra Costa Water District  
6 had drawn from these data was that the salinity of the  
7 water in the -- drainage water in the Fischer Delta Model  
8 here being somewhat higher would lead to increased  
9 benefits when that drainage water was no longer put into  
10 the Delta. So that the inference was that the Delta  
11 Wetlands Project was going to not improve the water in  
12 the Delta as much as it would have if the salinities  
13 would have been lower in the drainage water. So it's a  
14 little complex.

15 The improvements that are in the project came  
16 from no longer putting drainage water in with salinity.  
17 Contra Costa's inference was that because the Fischer  
18 Delta Model had higher concentrations of salinity that  
19 this would lead to more improvements than what would  
20 actually occur. And we reacted to this inference by  
21 computing the total mass of salt that would pass up the  
22 island. Because the key thing to understand here is that  
23 if the -- there's salt going into the channel, it's  
24 massive salt going into the channel and not concentration  
25 of water going into the channel.

CAPITOL REPORTERS (916) 923-5447

2256

1                   Because the concentration of the water going  
2                   into the channel is -- is with -- associated with the low  
3                   degree of flow, than there's very little salt going into  
4                   the channel. If it's associated with a large degree of  
5                   flow, then there's a large amount of salt. It's the  
6                   amount of salt that would be forgone if the agricultural  
7                   drainages were removed. So we did some computations of  
8                   the flux of salt, or that is the transport of salt that  
9                   would pass up the island.

10                   MS. SCHNEIDER: When you did these analyses in  
11                   response to the July 3rd fax from Contra Costa, what did  
12                   your analysis indicate?

13                   DR. LIST: Well, it required two pieces of  
14                   information. One is the flow rates, of course. And the  
15                   other one is the salinity. And the net result of these  
16                   as shown in the next slide, which is the drainage  
17                   volumes, you see that -- this is the flow rate of the  
18                   drainage off Bacon Island. And the dark lines are the --  
19                   what the flow rates were that were used in the Fischer  
20                   Delta Model. In the -- and the shaded lines here are the  
21                   flow rates that were included in the EIR/EIS.

22                   In fact, they come from table -- Table C2 --  
23                   C2-1, I believe. But to note here that the Fischer Delta  
24                   Model flow rates are substantially reduced from the  
25                   measured flow rates, where as the opposite was true of

CAPITOL REPORTERS (916) 923-5447

2257

1 the salinity. And the basic conclusion that came out of  
2 this multiplying up these flow rates and the -- and the  
3 salinities in the forgoing chart was the actual mass of  
4 salt that was returned to the Delta in the Fischer Delta  
5 Model was about half of what was actually occurring.

6 So if we can see the next slide. So this slide  
7 here is the product of the flow rate and the salinity.  
8 So the estimates from the Fischer Delta Model in each  
9 move average for this period of time shown in the dark  
10 blue. And the estimates from the measured one, measured  
11 flow rates are shown in the gray. The net result of  
12 adding it up for the year is that the flow rate of salt  
13 from the Fischer Delta Model is about half of what was  
14 actually occurring. So the net effect would be -- in the  
15 Fischer Delta Model would be underestimating the  
16 improvements that would actually occur from taking away  
17 the agricultural drainage as it occurs on the Delta  
18 islands.

19 HEARING OFFICER STUBCHAER: Question. Is there a  
20 reason why you didn't show the mass instead of the flux?

21 DR. LIST: This is the flux. It was just easy to  
22 compute this. You multiply the flow rate by the  
23 salinity.

24 HEARING OFFICER STUBCHAER: I see.

25 DR. LIST: You notice that the units up here are

CAPITOL REPORTERS (916) 923-5447

2258

1           microsiemens per centimeters squared times --

2                   HEARING OFFICER STUBCHAER: All right. So it is --

3           DR. LIST: It's the product of the two.

4                   HEARING OFFICER STUBCHAER: All right.

5           DR. LIST: So basically --

6           MS. SCHNEIDER: If you --

7           DR. LIST: -- the inference, the implication by  
8           Contra Costa Water District is not correct. The Fischer  
9           Delta Model is actually submitting about half the amount  
10          of salt that was actually occurring. So when the  
11          agricultural drainages are foregone, the improvements  
12          from the forgoing agricultural drainage would be about  
13          twice what the Fischer Delta Model predicted.

14          MS. SCHNEIDER: If you go back to Figure 2 it shows  
15          different amounts for the Fischer Delta Model drainage  
16          volume and for measured values of drainage.

17                   Can you explain how you calculated the Fischer  
18          Delta Model values and what the measured values in  
19          contrast represent?

20          DR. LIST: Yes. These are rather complex. Let's  
21          start with the easy one. Measured flow rates are the  
22          flow rates that were in the EIR/EIS and were computed  
23          from the pumping times and the pumping horsepower on the  
24          island. And if you add them up for a year, they  
25          represent something like 34,000 acre feet of return flow.

CAPITOL REPORTERS (916) 923-5447

2259

1                   Now, the way that this is done is Fischer Delta  
2                   Model agricultural return flows can't be for a specific  
3                   island, can't be computed directly, because of the manner  
4                   in which the nodes are set up in the modeling. So the  
5                   way in which it is done is by relating a fraction of the  
6                   Delta island space to the total amount of agricultural  
7                   area.

8                   And the agricultural return flows are taken from  
9                   DWRSIM and consumptive uses. And then multiplied by the  
10                  fraction of Bacon Island area relative to the total Delta  
11                  area. And that comes out to about .0124, something like  
12                  that for the Delta. So it's about 1.2 percent of the  
13                  actual total area.

14                  The point is that the -- the agricultural water  
15                  use is -- is associated with crop use. And it comes out  
16                  as part of DWRSIM. But then it's allocated to the number  
17                  of nodes that are associated in the Delta. And some of  
18                  those nodes represent Bacon Island and associated  
19                  islands. So that one way to get these numbers is to  
20                  simply just multiply the fraction of Bacon Island area  
21                  with the total area of the Delta.

22                  The measured agricultural return salinities were  
23                  obtained from the DWR municipal water quality  
24                  investigation through the Division of Local Assistance  
25                  Home Page. And the measurements were from the two

CAPITOL REPORTERS (916) 923-5447

2260

1 pumping islands, from discharge pumps that are on Bacon  
2 Island, pump stations.

3 MS. SCHNEIDER: The Department of Water Resources  
4 conducted a comprehensive survey of Delta island drainage  
5 flows in water year 1955. That data is summarize in  
6 Table C2-1 of the Draft EIR/EIS.

7 How do those 1955 measurements compare to the  
8 measurements shown on your figure from the 1988 to 1992  
9 pumping data?

10 DR. LIST: Well, the 1955 measurements that DWR had  
11 performed were associated with an area they termed Bacon  
12 Island, which was an area of about 19,357 acres for which  
13 they measured 74.4 inches of drainage water. And if you  
14 associate that -- this is a total flow of 120,000 acre  
15 feet. Now, the Bacon Island that we're referring to here  
16 is about 5,539 acres that was used in the Fischer Delta  
17 Model. So if you prorate that you get 34,000 acre feet,  
18 approximately 34,000 acre feet in 1955.

19 The numbers which are -- if you add up these  
20 flows here, which were the flows that appear in the --  
21 from the basis of the pumping records, it comes to about  
22 31.3 thousand acre feet. So the numbers that DWR  
23 measured in 1955 and the numbers that are used in this  
24 computation are basically in the same ballpark of around  
25 31 to 34,000 acre feet per year. So I think that these

CAPITOL REPORTERS (916) 923-5447

2261

1 are a fair estimate.

2 MS. SCHNEIDER: Let me just ask you one last  
3 question: Does the discrepancy between the measured  
4 values from 1955 and 1988 through '92, discrepancies  
5 between those measured values and Fischer Delta Model  
6 calculated values in any way discredit the results of  
7 Fischer Delta Model simulations that you performed?

8 DR. LIST: No, I don't believe so, because it is  
9 unreasonable to expect any model to calculate exactly all  
10 of the flows and all of the salinities in a system that  
11 is as complex as the Delta. As you've seen in Figure 1  
12 the measure -- if we can just go back to Figure 1.

13 Typical of the measured salinities are these  
14 dots that are shown around here for Bacon Island, which  
15 represents samples. And it would be impossible for any  
16 type of modeling to reproduce that kind of fluctuation.  
17 Point is that the Delta represents -- the Delta Modeling  
18 gets the total flows correct. And it gets the total  
19 masses of salt correct as was shown in the previous  
20 testimony. We've done the salt balances and water  
21 balances. And so, overall, the model is well calibrated.  
22 And it has to be expected that sometimes the computed  
23 values are going to be a little more than what you would  
24 measure, and sometimes they're going to be a little less.

25 But, overall, calibrations which Contra Costa

CAPITOL REPORTERS (916) 923-5447

2262

1 Water District and ourselves have intimately been  
2 involved in over a period of time have shown that in  
3 general these models can -- are a proper representation  
4 that can be used for a comparison -- a comparative  
5 analysis of the Delta Wetlands Project.

6 MS. SCHNEIDER: Thank you, Dr. List. Our next  
7 witness is Dr. Alex Horne.

8 Good afternoon, Dr. Horne. Could you, please,  
9 state and spell your name for the record.

10 DR. HORNE: My name is Alex Horne, H-O-R-N-E.

11 MS. SCHNEIDER: And would you, please, summarize  
12 your professional experience as it relates to the Delta  
13 Wetlands Project.

14 DR. HORNE: Yes. I've been a professor at  
15 University of Berkeley in the Department of Civil and  
16 Environmental Engineering for about the past 26 years.  
17 During that time I've carried out research, which is  
18 essentially tried to provide answers to the questions of  
19 the sort that come up here, whether they be in streams,  
20 or oceans, or lakes, or wetlands.

21 My original training was in biochemistry in  
22 limnology and oceanography. And I came to engineering  
23 when they essentially told me that we can design anything  
24 so long as you get numbers. And so my research  
25 essentially has been to try to solve that very question:

CAPITOL REPORTERS (916) 923-5447

2263

1 Can I get ecological systems to give numbers such that  
2 things can be designed in some particular fashion?

3 The things I'm most proud of I think of that  
4 nature are the California Standards on Delusion for San  
5 Francisco Bay came out of my early research with  
6 enclosures. Some of the standards on chlorine, namely  
7 the removal of chlorine by dechlorination also came from  
8 some early work that I carried out. And a number of  
9 other projects, including the design of some of the  
10 recent reservoirs such as the Domenigoni reservoir where  
11 I monitored the water quality in the early stages. A  
12 number of local reservoirs, the Truckee River, a number  
13 of other places.

14 I think my research has made a contribution to  
15 the eventual solution of such problems. And most  
16 recently, I've been working heavy with Wetlands in terms  
17 of wastewater treatment for large industry, large groups  
18 of people like the five million people in the Orange  
19 County Water District group.

20 MS. SCHNEIDER: Thank you. Would you start out  
21 with summarizing your general opinion of the limnological  
22 aspects of the written and spoken testimony that you have  
23 examined.

24 DR. HORNE: Yes. I think with a few exceptions the  
25 limnological testimony that generally opposes the Delta

CAPITOL REPORTERS (916) 923-5447

2264

1 Wetlands has shown a consistent bias to extreme high, or  
2 unfavorable ranges of the variables discussed. This may  
3 or may not be appropriate for the agency, but in  
4 particular CUWA, DFG, and the Department of Water  
5 Resources -- I beg your pardon, and California Fish and  
6 Game stated what could happen rather than what would  
7 happen.

8 And in this rebuttal I'm going to try and  
9 demonstrate the most likely limnological events that  
10 would occur in the Delta Wetlands's reservoirs. And then  
11 the most likely water quality resulting from the most  
12 probable events. So, a mean course rather than an  
13 extreme one side or the other.

14 MS. SCHNEIDER: Generally, what are the factors, in  
15 your opinion, that are likely to affect the amount of DOC  
16 entering the water column from the Delta Wetlands's  
17 reservoirs?

18 DR. HORNE: This question requires consideration of  
19 the DOC likely in the short-term when the reservoir is  
20 first filling in the first year or two; and then in the  
21 long-term, when the reservoir is in equilibrium. All  
22 reservoirs show this initial short-term response. And  
23 that is usually a poorer water quality than the long-term  
24 response.

25 One of those dramatic examples is like Cariba,

CAPITOL REPORTERS (916) 923-5447

2265

1           which is on the Sambezi in East Africa, where the initial  
2           response having flooding 200 miles of tropical forest,  
3           the H<sub>2</sub>S was so strong it took out the turbine blades.  
4           Less dramatic examples have occurred more locally, and  
5           I'll give one, Castaic Reservoir where when it was filled  
6           in 1973 happened to coincide with an earthquake and pore  
7           water quality. And one of the taste and odor events  
8           there was due initially to its -- partially to its  
9           spilling. Castaic reservoir, another one of the terminal  
10          reservoirs down there in Los Angeles, also had some  
11          problems when it was first filled, which have become  
12          somewhat less.

13                        There was a good deal of comments especially in  
14          the new revised CUWA exhibits of the effects of advective  
15          and diffusive water mixing. And there seemed to me to be  
16          some confusion as to what would exactly happen in this  
17          reservoir. This is rather a shallower reservoir than we  
18          used but, of course, there are many people in the world  
19          that use reservoirs of this depth.

20                        So I would like just to look at one, or two of  
21          the CUWA exhibits and point out the mechanisms that are  
22          available, whether they will be applicable, and what the  
23          net result would be on DOC releases. So I think the  
24          first thing to do is to look at the CUWA Exhibit 6B.

25                        As you can see here there is a dispute between

CAPITOL REPORTERS (916) 923-5447

2266

1 the two groups, obviously, of the importance of these  
2 mechanisms and whether or not they were effective in this  
3 particular situation. Dr. Kavanaugh has gone through  
4 this already, so I'll be pretty brief about what I think  
5 here.

6 If we can have my first exhibit, which is a new  
7 exhibit. It's the one that you've got at the top there.  
8 The picture -- yeah, the textbook pie diagram. That's  
9 the one. I feel a little hesitant to introduce this  
10 since I just -- I'm following one of the world's top  
11 mixing experts but, perhaps, he knows too much to  
12 simplify this.

13 MS. SCHNEIDER: We need to identify this exhibit  
14 first, Dr. Horne. This is labeled Figure 5-1 from your  
15 book, *Limnology*, 1994. This will be introduced as Delta  
16 Wetlands Exhibit 55.

17 DR. HORNE: This indicates most of the mechanisms  
18 that are available in lakes to mix water. And this will  
19 occur no matter what size the lakes are, whether they're  
20 oceans, or small puddles, basically, though the  
21 importance of each of these varies. This one here is a  
22 Langmuir spiral, which is -- was mentioned in the CUWA  
23 testimony.

24 These are some breaking waves. And here are  
25 some mixing currents going down. There are other

CAPITOL REPORTERS (916) 923-5447

2267

1 mechanisms of mixing, including evaporative cooling, and  
2 all these will mix this upper part of the water. In our  
3 reservoir in the Delta Wetlands reservoir, this  
4 thermocline here will probably not exist. This will act  
5 as the bottom of the reservoir. And so what counts is:  
6 Will the energy that's put in here get down to here? And  
7 if I can have my next exhibit, please.

8 MS. SCHNEIDER: 5-4?

9 DR. HORNE: No. The other one.

10 MS. SCHNEIDER: 5-6. This is figure -- Figure 5-6,  
11 again from Dr. Horne's book, Limnology, 1994. And this  
12 will be introduced as Delta Wetlands Exhibit 56.

13 DR. HORNE: What you can see here is that the -- is  
14 the wave height here. And this is the wavelength. Now,  
15 the amount of mixing that occurs with these waves is  
16 dependent not only on the wave height -- we heard some  
17 testimony of how these might get to three feet. I think  
18 that might have been a breaking wave, not a real wave.  
19 The fetch on this island is not long.

20 But what really counts is this wavelength. And  
21 if the wavelength is short, mixing does not go very far.  
22 With each -- each wavelength we reduce the mixing as you  
23 can see. So we're sort of talking down here in the Delta  
24 Wetlands. So a wave of a foot would have a tenth of a  
25 foot at one wavelength, and here you can see it would be

CAPITOL REPORTERS (916) 923-5447

2268

1 even smaller.

2 So I don't expect to see a big peaty mess in  
3 this reservoir when it's full. It will certainly be  
4 peaty when they first put water in it if it's a windy  
5 day. Not to belabor this point too much, I think what  
6 will happen is there will not be a large amount of mixing  
7 from top to bottom in these lakes. They will mix like  
8 most lakes of their depths do. If we can have the next  
9 figure. There was also --

10 MS. BRENNER: Do you want this one, or the next  
11 one?

12 DR. HORNE: No. This one.

13 MS. SCHNEIDER: This is labeled Figure 5-4. It's  
14 from a report technical memo co-authored by Dr. Horne in  
15 1975. And this will be introduced as Delta Wetlands  
16 Exhibit 57.

17 DR. HORNE: The concern here is what will happen to  
18 water when it piles up at the end of the reservoir. As  
19 Dr. Losee puts it: Will this water sink down to the  
20 bottom, swirl across the bottom and mix up the sediments,  
21 or will it not?

22 This is an actual measurement made using NASA's  
23 extensive facilities of Clear Lake, which is a lake that  
24 is not too dissimilar from this lake and has been  
25 mentioned in some ways. And these are actual current

CAPITOL REPORTERS (916) 923-5447

2269

1 measurements made by taking photographs every hour and  
2 then laboriously plotting the distance of an incorrect  
3 signal of algae on the surface. And what you can see  
4 here is that most of the water swirls around like this.  
5 And that's what will happen to water --

6 HEARING OFFICER STUBCHAER: Dr. Horne, I want to  
7 remind all the witnesses that we have a written  
8 transcript here. And when you say "like this" or -- it  
9 doesn't read too well. So if you can give a little  
10 description, we'd appreciate it.

11 DR. HORNE: Yes. The water in this case tended to  
12 spiral and to move in a clockwise direction. And did not  
13 tend to pile up at one end and then disappear underneath.  
14 This kind of circular motion is what I would expect in a  
15 small -- relatively small shallow and warm system such as  
16 what will occur in the Delta Wetlands reservoir.

17 So, again, I think most of the wind's energy  
18 will be expended in sending the water round and round and  
19 not in stirring it vertical.

20 HEARING OFFICER STUBCHAER: Pardon me. Do you have  
21 any knowledge of any vertical motion, or return current,  
22 or anything like that in this lake at the same time that  
23 these surface measurements were taken?

24 DR. HORNE: There are vertical motions. And one of  
25 the vertical motions that was occurring simultaneously to

CAPITOL REPORTERS (916) 923-5447

2270

1           this -- not simultaneously in the same day. This was a  
2           fairly calm day, but in more windy days at the same  
3           period of time, particularly Langmuir spirals where the  
4           water spirals down. Now, the important thing about a  
5           Langmuir spiral is it mixes down to the thermocline.

6                        And in this lake the thermocline will be --  
7           there will be no thermocline. And the other way to look  
8           at it is you can actually go out on a boat and measure  
9           the width of a Langmuir spiral. And on similar site  
10          reservoirs the ones we expect, I expect the diameter of  
11          one of these spirals to be about ten feet, which means  
12          that under a full condition it would not impinge upon the  
13          bottom water. So, again, I don't expect that mechanism,  
14          which is another main mechanism here, to impinge upon the  
15          bottom.

16                       We can take that one off now. I think there's  
17          one thing that might help. Listening to the testimony  
18          and reading, the testimony has been that there seems to  
19          be almost a semantic problem in diffusion and advection.  
20          And this was partially clarified by Dr. Kavanaugh in his  
21          testimony -- his rebuttal testimony. And I'd like to  
22          clarify it a little further, because I think it's more of  
23          an apparent problem than a real problem.

24                       There is no real common English word for oozing  
25          out in scientific terms. And so Dr. Kavanaugh used the

CAPITOL REPORTERS (916) 923-5447

2271

1 term diffusion as a lot of people would. And in his  
2 overall discussions of diffusion he's actually including  
3 both advective mixing and molecular diffusion. And I  
4 think that's where Dr. Losee didn't really sort out the  
5 differences. And that's where I think the idea that  
6 these other mixing mechanisms, the wind mixing, stirring,  
7 Langmuir spirals, whatever they may have been were not  
8 considered.

9 The difference between Dr. Kavanaugh's approach  
10 and the CUWA approach is that Dr. Kavanaugh allows all  
11 the available DOC in the upper peat layer to be moved  
12 into the water column, really regardless of any  
13 mechanism. The only difference then left after you've  
14 got all of the material out of the top layer is to -- is  
15 to look at molecular diffusion. And if I could have my  
16 next exhibit -- no, let's leave that on for a second.

17 To clarify this further, Dr. Kavanaugh  
18 attributes less than half a milligram per liter of DOC to  
19 short-term advective mixing in the top three inches of  
20 peat. The remainder of the contribution will then be  
21 long term and true molecular diffusion. And I agree with  
22 his statement. And I don't think he's in conflict with  
23 the CUWA interpretation. If he could remember that the  
24 advective terms have been considered as acting prior to  
25 the diffusive terms.

CAPITOL REPORTERS (916) 923-5447

2272

1                   If the CUWA estimate of six inches of advective  
2                   peat is used rather than three inches, then one milligram  
3                   of DOC would be released in the early years of the  
4                   reservoir's life.

5                   MS. BRENNER: Go ahead.

6                   MS. SCHNEIDER: Did Dr. Kavanaugh and Dr. Brown's  
7                   analysis of the Delta Wetlands reservoir operations  
8                   assume no change in DOC release levels over the years of  
9                   use?

10                  DR. HORNE: Yes.

11                  MS. SCHNEIDER: Why was this a conservative  
12                  assumption?

13                  DR. HORNE: Because the surface layer of the peat  
14                  will rapidly become leached in most, if not all, DOC.  
15                  And this will occur whether it's three inches of mixing,  
16                  or six inches of mixing, and whether it's mixed by one,  
17                  or all of the processes that I just summarized in my  
18                  first three exhibits, also with the same -- with regard  
19                  to the CUWA exhibit, discussing the inadequacy of  
20                  consideration of Dr. Kavanaugh's testimony. So  
21                  whoever -- whoever you're listening to, all these  
22                  mechanisms have been considered. And it's a conservative  
23                  estimate.

24                  Shallow or deep there's a finite amount of peaty  
25                  sediments that can be disturbed by wind, or biological

CAPITOL REPORTERS (916) 923-5447

2273

1 forces. You can only stir so much. And after that, that  
2 will be the end of that. After that only molecular  
3 diffusion will operate. And both Delta Wetlands and CUWA  
4 agree that this is a very slow process. So I'd just like  
5 to illustrate this a little bit with my figures -- next  
6 figure which is --

7 MS. BRENNER: That one.

8 DR. HORNE: We've had "One Day in the Life of DOC,"  
9 I'd just like to have a couple years in the life of a  
10 potential reservoir in the Delta --

11 MS. SCHNEIDER: Before you start, we should  
12 introduce these exhibits as a set, perhaps. This will be  
13 Delta Wetlands Exhibit 58. And it is comprised of two  
14 pages. It's entitled "Factors Influencing Water Column  
15 DOC," 1-A and 1-B are on the first page. And 1-C and 1-D  
16 are in the second page. And those two pages are Delta  
17 Wetlands Exhibit 58.

18 DR. HORNE: This exhibit was -- was specifically  
19 created to rebut the CUWA testimony 6B -- Exhibits 6B and  
20 C, and to show what probably would be most likely to  
21 happen. Here's the situation in Figure 1-A where the  
22 reservoir is dry. It's the first year.

23 We have shallow peat and whether it's three  
24 inches deep, as suggested by Delta Wetlands, or six  
25 inches deep as suggested by CUWA that is to say the

CAPITOL REPORTERS (916) 923-5447

2274

1 potential mixing, we have shallow and deep. We then add  
2 water. And this is the first water addition going in.  
3 And DOC is then at its highest, because there's little  
4 initial flushing and -- there's initial flushing, rather,  
5 and little delusion. We then add water. We have shallow  
6 water, we have the maximum amount of mixing and the  
7 shallow peat is mixed around. The deep peat remains  
8 undisturbed.

9 The next figure which follows on this is the  
10 reservoir in its first year on operation. At a depth of  
11 about 22 feet any sedimentary peat that has been  
12 suspended when the reservoir is shallow will sink down  
13 again, having leached out much of its DOC. So we'll have  
14 a moderate level of DOC, because the initial flush from  
15 the peat will be diluted by water with low DOC. Again,  
16 the deep peat is undisturbed.

17 Now, take -- I'd like to take us a few years  
18 into the future when the reservoir has stabilized.  
19 Typically reservoirs take three to five years to become  
20 stable with regards to many of their water quality  
21 parameters. So this might be the reservoir in three to  
22 five years time.

23 Again, it's full of water. We have a layer of  
24 leached peat. We have a layer of undisturbed peat and  
25 only molecular diffusion can move peat from the

CAPITOL REPORTERS (916) 923-5447

2275

1           undisturbed area into the leached area and on. And this  
2           is why I think Dr. Kavanaugh's estimate was conservative,  
3           because he assumed a continual leaching here at the high  
4           initial rate.

5                        The DOC and equilibrium will be lower in the  
6           first year, because as I said before this layer of  
7           leached peat, the mixed layer will essentially be leached  
8           to either all of its material, or it may leach a little  
9           bit for a long time. But I would agree with  
10          Dr. Kavanaugh that all of these leaching experiments show  
11          a high amount of leaching in the first occasion. And it  
12          gets less with time. The shape of that curve, we don't  
13          know.

14                       Yes, I'd like to introduce the next figure  
15          now --

16                       MS. SCHNEIDER: And while you're getting that up  
17          that will be -- that is entitled "Factors Influencing  
18          Water Column DOC," number two is on there. And it would  
19          be Delta Wetlands Exhibit 59.

20                       DR. HORNE: This contrasts the base condition with  
21          the Delta Wetlands's reservoirs. And we have the base  
22          condition with irrigation water, continually disturbed  
23          peat layer, and an undisturbed peat layer, and a drainage  
24          in the Delta Wetlands -- well, when they were under  
25          agricultural operation is about 24 to 30 inches. It's --

CAPITOL REPORTERS (916) 923-5447

2276

1           essentially they're drained by ditches, which means you  
2           have arranged a perfect leach field for the top two or  
3           three feet of peat.

4                        So this formally undisturbed peat, though it's  
5           undisturbed physically now, has advective motion because  
6           as a head of water passing through this peat layer. And  
7           so, in fact, instead of only having what we all consider  
8           is a low molecular diffusion of TOC up through the  
9           disturbed peat layer into the water, we have a second  
10          process which is advective flushing of water through this  
11          deep peat layer.

12                       And since as we know the land is continually  
13          sinking, this layer is continually renewed further and  
14          further down and we never get to the equilibrium where  
15          all the TOC has been flushed out of the system.

16                       Contrast that with the Delta Wetlands reservoir  
17          where we have this long list stable peat layer, instead  
18          of this continually irrigated plowed layer, we only have  
19          the process of molecular diffusion. So whichever way you  
20          examine this situation, the TOC and the DOC coming from  
21          the Delta Wetlands, whether it be a shallow reservoir or  
22          somewhat deeper, will be very much less than with -- with  
23          continual agricultural production.

24                       MS. SCHNEIDER: There's been testimony that all  
25          carbon sources have to be considered. In your opinion,

CAPITOL REPORTERS (916) 923-5447

2277

1           what are the most likely dominant processes of carbon  
2           production and loss in the Delta Wetlands's reservoirs?

3           DR. HORNE: For this I'd like to introduce my next  
4           exhibit.

5           MS. SCHNEIDER: That would be introduced then as  
6           Delta Wetlands Exhibit 60. It's labeled "Factors  
7           Influencing Water Column DOC."

8           DR. HORNE: This is essentially a rebuttal, or a  
9           clarification of CUWA Exhibit 6A which considered only a  
10          few of the carbon sources, namely, only the ones that  
11          went one way. I think we should include lust terms in  
12          order to be more realistic.

13          This is my best estimate of what will happen in  
14          the Delta Wetlands, which is an unusual reservoir in that  
15          its drawn down every year. We don't normally draw  
16          reservoirs down to zero, but we do draw them down a long  
17          ways sometimes. The wet part of the cycle which occurs  
18          from roughly November to July has three or four sources  
19          of TOC. Algae will become TOC, total organic carbon.  
20          This total organic carbon will sink to the bottom. There  
21          will be a lost to earning of CO2, which will be the  
22          majority of it. And the rest will remain there and  
23          produce some DOC.

24          And the amount of DOC -- or the root of the DOC  
25          is indicated here. Algae would also produce DOC. And

CAPITOL REPORTERS (916) 923-5447

2278

1           this will remain in the water, but it won't remain very  
2           long. This DOC is highly labile and is conventionally  
3           not normally considered in limnology, because it doesn't  
4           come in and out. It's just there for a very short time.  
5           Nevertheless, it will be DOC and will eventually go to  
6           CO2 or will be eaten.

7                         In the dry period, what I call damp because I  
8           think that's what it will be, we will get some growth of  
9           aquatic plants in this restricted season here. And that  
10          TOC will fall to the bottom and when it's flooded will  
11          become this TOC -- DOC term here illustrated in the box  
12          in the figure.

13                        MS. SCHNEIDER: And you're pointing to a box  
14          labeled "algae" and appointed DOC, correct?

15                        DR. HORNE: Yes.

16                        MR. SUTTON: Excuse my, Dr. Horne. For quick  
17          clarification if I may, we've had discussions about TOC  
18          versus DOC. And the implication has been that TOC  
19          includes DOC, and you seem to be separating here.

20                        When you're talking about the algae forming TOC,  
21          is that actually particulate carbon as opposed to  
22          dissolved organic carbon, or are you using TOC in a  
23          slightly different terminology here?

24                        DR. HORNE: I was merely indicating here that the  
25          algae will -- will become TOC as well as DOC. So the box

CAPITOL REPORTERS (916) 923-5447

2279

1 labeled out with an arrow from algae to TOC in my mind  
2 indicates algae that is dying or sinking.

3 MR. SUTTON: Which would be particulate organic  
4 carbon as opposed to dissolved organic carbon?

5 DR. HORNE: Correct.

6 MR. SUTTON: So when you're using the term TOC you  
7 don't -- you're not including dissolved organic carbon in  
8 that, or are you?

9 DR. HORNE: No, I'm not -- well, technically you  
10 have to.

11 MR. SUTTON: Yeah. That's the question -- the  
12 reason for my question about clarifying that.

13 DR. HORNE: Yeah. I think then what we should do  
14 is I should have drawn a "P" there instead of a "T" in  
15 the box. That says "TOC" and should say "POC" and that  
16 would make it clearer as distinct to what I was meaning  
17 here.

18 MR. SUTTON: And then that would apply to both  
19 places where you have TOC?

20 DR. HORNE: Yes. Yes.

21 MR. SUTTON: Both the left and the right side of  
22 the figure?

23 DR. HORNE: Yes. That would be correct.

24 MR. SUTTON: Thank you.

25 DR. HORNE: I would add that the use of TOC and DOC

CAPITOL REPORTERS (916) 923-5447

2280

1           though very convenient is going to cause us a lot of  
2           problems in the future, because if we have an algae bloom  
3           TOC increases, but DOC doesn't. In particular DOC the  
4           problem doesn't. So it's a little difficult now, because  
5           we've gone so far along this road, but it is important, I  
6           think, to distinguish between TOC and DOC particularly in  
7           storm flows.

8                   MS. SCHNEIDER: Coming back to the general  
9           discussion of the factors influencing water column DOC,  
10          you have a table that summarizes the various aquatic  
11          sources of DOC, can you turn to that table?

12                   DR. HORNE: Yes. Do you have the table?

13                   MS. SCHNEIDER: This table is entitled "Factors  
14          Influencing Water Column DOC, DOC from Various Aquatic  
15          Sources." And that would be introduced as Delta Wetlands  
16          Exhibit 61.

17                   DR. HORNE: I'm going to try to go a little slower  
18          here as my Mississippi accent is confusing the Court  
19          Reporter.

20                            One thing to remember in this particular  
21          reservoir is how much material we'll have, because the  
22          amount of peat, the amount of algae, and the amount of  
23          wetland plants will be the only source of TOC and DOC in  
24          the future. We've talked about peat. And these are --  
25          this table indicates DOC from the various aquatic

CAPITOL REPORTERS (916) 923-5447

2281

1 sources, the constituent, and the long-term contribution  
2 relative to agricultural drainage, or drainage from a  
3 natural wetland. The peat constituents will contribute  
4 little, because it will be leached out in the early  
5 years. Later it will be sealed by deposits. There will  
6 be a sediment deposit on the bottom of this reservoir  
7 which will tend to seal in some of the peat itself.

8 Algae, this is a question of some contention but  
9 the nutrient supply provided to the Delta Wetlands on  
10 most years would appear to me to be quite good. I'm not  
11 talking about its DOC content, but its nitrogen and  
12 phosphorous content, in which case algae production may  
13 be lower than most people are expecting. In addition, as  
14 I'll mention later, drawing a reservoir down in the fall  
15 is not the best way to grow algae, because they don't  
16 grow very well when it's dry.

17 Finally, wetland plants, again, wetland plants  
18 will be lower than I think most of the testimony has been  
19 assuming so far, because they only start to grow when  
20 light is diminishing in winter. And that's, again, some  
21 of these are flowering plants and they don't grow just  
22 any time. You have to plant them at the right time of  
23 the year.

24 So my general conclusion is that the Delta  
25 Wetlands's reservoirs provide a poor habitat for peat

CAPITOL REPORTERS (916) 923-5447

2282

1 leaching relative to the agricultural situation. The  
2 Delta Wetlands's reservoirs provide a poor habitat for  
3 nuisance algae growth relative to most natural lakes and  
4 reservoirs in California due to the inflow of relatively  
5 nutrient pore water unrestricted growth season.

6 Finally, the Delta Wetlands's reservoirs provide  
7 a poor habitat for wetland plants relative to the  
8 situation in natural, or constructed wetlands due, again,  
9 to a restricted growth season.

10 The net result is a relatively low probability  
11 that photosynthetically influenced water quality in the  
12 Delta Wetlands's reservoirs will be as pore as the  
13 reservoirs relied upon by most water supply agencies in  
14 California.

15 MS. SCHNEIDER: Looking at those other water supply  
16 facilities, Dr. Krasner has stated at least twice in oral  
17 testimony that DOC does not change in concentration  
18 through the entire several-hundred-mile length of the  
19 State Project from Banks to MWD's treatment plants at  
20 least.

21 In your opinion how much more, if any more, DOC  
22 will be produced in Delta Wetlands's reservoirs relative  
23 to that produced in other State Project reservoirs and  
24 the State conveyance system?

25 DR. HORNE: Throughout the entire several hundred

CAPITOL REPORTERS (916) 923-5447

2283

1 mile length of the State Project from the Banks plant to  
2 the MWD's treatment plants, DOC shows a slight decline  
3 from about 4 to 4.4 milligrams per liter down to about 3  
4 to 3.5 milligrams per liter in a terminal reservoir.  
5 This was alluded to in the exhibit of Dr. Kavanaugh. I  
6 don't know the number of it.

7 MS. BRENNER: It's Figure 13.

8 MS. SCHNEIDER: I think you can just refer to  
9 Dr. Kavanaugh's previous testimony.

10 DR. HORNE: Okay. It was the one that showed DOC  
11 decreasing through the system. Now, I think here I  
12 differ with Dr. Krasner and -- in his questions to you --  
13 rather in your questions to him that the -- with regard  
14 to the limnological situation of DOC generation in the  
15 State Conveyance Systems versus the Delta Wetlands's  
16 reservoirs.

17 In particular, Dr. Krasner stated that the size  
18 of Castaic, and by implication Silverwood, Perris,  
19 Pyramid, and other reservoirs of the State Project were  
20 much deeper than those of the Delta Wetlands's reservoirs  
21 and thus very little shallow water. So there would be a  
22 great dissimilarity between the two systems.

23 Well, it seems that way in a way, but that's  
24 because we always draw reservoirs as very steep. Both  
25 the Delta Wetlands's reservoirs and the State conveyance

CAPITOL REPORTERS (916) 923-5447

2284

1 system, we have to include, of course, the aqueduct and  
2 the shallow out to bays and forebays have a large  
3 percentage of shallow, well-mixed and eliminated water  
4 and sediments.

5 The California Aqueduct and the Littoral areas  
6 of the epilimnion, that is the warm upper layer of the  
7 reservoir, in the State Project reservoirs are examples  
8 of such shallow well-mixed conditions. The only  
9 difference of importance between the DOC generating  
10 potential of the Delta Wetlands's reservoirs and those of  
11 the State conveyance system are the peat bottom of the  
12 former. I think this was taken into account in  
13 Dr. Kavanaugh's testimony. And in my opinion, would  
14 decline substantially over the first few years of  
15 operation.

16 If algae, or wetland plants, or hedge plants  
17 were to be a major contributor to the DOC pool, then  
18 instead of declining through the system, the State Water  
19 Project system, DOC would increase. In fact, we see it  
20 in a slight decline. And that to me is a very good  
21 empirical statement that we don't see long-term DOC  
22 generation in conveyance systems whether they be shallow  
23 or deep.

24 I looked at some data where DOC changes in lakes  
25 have been measured under dark conditions and calculated

CAPITOL REPORTERS (916) 923-5447

2285

1           that about .6 milligrams of DOC a month would be lost  
2           under normal conditions in these State Project reservoirs  
3           and conveyance systems. That's about the amount we see  
4           and that's about the amount of time that water could take  
5           to go down those systems.

6                        So it would seem to me that the decay term,  
7           which has not been considered and is normally fairly  
8           small but, of course, becomes longer with time is the  
9           dominant factor over any DOC production within the  
10          conveyance systems. So we're left with only the peat as  
11          being the difference.

12                   MS. SCHNEIDER: Dr. Losee has predicted that algae  
13          in the Delta Wetlands's reservoirs will produce very high  
14          concentrations of taste and odor compounds.

15                        Do you agree with that?

16                   DR. HORNE: It's not exactly whether they will, or  
17          not, it's how frequently. Anything could happen and I  
18          think this is another example of overstating extreme  
19          events. It's certainly an important question, high taste  
20          and odors is one of the worse problems in drinking  
21          reservoir supply systems.

22                        Dr. Losee stated the State Water Project  
23          reservoirs receiving water from the Delta annually  
24          experienced cyanobacteria algal blooms that have produced  
25          MIB up to 177 nanograms per liter and geosmin of 2,700

CAPITOL REPORTERS (916) 923-5447

2286

1 nanograms per liter. And this was -- this is a quote  
2 from a paper by Taylor, et al., in 1994, which has been  
3 offered into evidence by CUWA, I believe, and  
4 Dr. Losee was the second author.

5 To continue the quote, "There is a near  
6 certainty that these kinds of blooms will occur in the  
7 project reservoirs from time to time rendering the water  
8 unusable by the water utilities." This quote is from  
9 CUWA Exhibit 6, page 17.

10 Again, I think this is what could happen, but  
11 not what would happen. Using the data in the paper of  
12 Taylor, et al., I estimate the amounts of high geosmin  
13 occurred for a total of 8 months in 21 years. I don't  
14 think that's very often compared to what I experience in  
15 most State -- not just our state, reservoirs around the  
16 world.

17 In addition, the causes of geosmin in MIB blooms  
18 in the MWD reservoirs, with that I include those of the  
19 DWR of which they are the main customers, these  
20 conditions that cause these taste in odors are not likely  
21 to be replicated in the Delta Wetlands's reservoirs. So  
22 somewhat surprisingly I conclude that although there's a  
23 possibility of taste and odor causing blooms in the Delta  
24 Wetlands's reservoirs, these events are equal, perhaps,  
25 even greater likelihood in the Delta channels without

CAPITOL REPORTERS (916) 923-5447

2287

1 Delta Wetlands's reservoirs projects, or in the supply  
2 reservoirs that the CUWA members now use.

3 Examples of such reservoirs would be San Luis  
4 Reservoir, Castaic, Perris, and Mathews, or for that  
5 matter, upper San Leandro which is not directly connected  
6 to this project. However, reservoirs that will occur in  
7 the future, and Los Vaqueros is the logic example.

8 MS. SCHNEIDER: Would you explain why Delta  
9 Wetlands possibly could have lower taste and odor  
10 problems than CUWA reservoirs?

11 DR. HORNE: Yes. The restricted growth season in  
12 the Delta Wetlands's reservoirs will result from the save  
13 and release of much of the water prior to the worse taste  
14 and odor season which is September to December.

15 Blue-green algae often called cyanobacteria that  
16 produce taste and odors are creatures of warm stable  
17 conditions such as are found in stratified reservoirs in  
18 late summer and through the autumn. The Delta Wetlands's  
19 reservoirs will be well mixed by winds and virtually dry  
20 by autumn. It's quite likely that they will have less  
21 taste and odor problems than many of the State Water  
22 Project reservoirs, at least, in the fall when these  
23 problems are most common.

24 MS. SCHNEIDER: DWR witness Raymond Tom stated that  
25 there will be an increase in nutrients following flooding

CAPITOL REPORTERS (916) 923-5447

2288

1 of Delta Wetlands's reservoirs and implied that there  
2 will be more algae in the reservoirs and in the State  
3 Water Project storage and conveyance systems. Testimony  
4 of other groups also indicated that Delta Wetlands would  
5 be highly productive, perhaps, similar to Clear Lake.

6 Do you agree with those assessments?

7 DR. HORNE: Shorter answer is, no, I don't agree.  
8 And this is -- since this is not an expected conclusion,  
9 I think I need to explain it a little bit. Written  
10 testimony by the DWR indicated that they feel that  
11 nutrients will rise in the Delta Wetlands's reservoirs  
12 following winter flooding, and implicitly that this will  
13 result in unacceptable water quality.

14 The California Fish and Game Department is liken  
15 the algae in the Delta Wetlands to the algae blooms in  
16 Clear Lake and is worried about oxygen depletion in the  
17 Delta Channels if such large amounts of algae were to be  
18 released. So what will really happen in the Delta  
19 Wetlands, now, it is true that nutrients are released in  
20 soils in some seasonal wetlands. This is what makes them  
21 so productive. And that's why we get so much ducks  
22 there.

23 Nutrients released from flooded soils as is best  
24 known from the Varsia flood plane of the Amazon River,  
25 from where we derive most of the information for our

CAPITOL REPORTERS (916) 923-5447

2289

1 textbook. In such areas, the annual flood does release  
2 nutrients in the soil. And these nutrients were left by  
3 decaying vegetation that grew during the last flood.

4 However, the flooding experiments carried out by  
5 Jones and Stokes for the mostly permanently damp  
6 Wetlands's reservoirs shows the opposite effect. In the  
7 Jones and Stokes's study the four major important plant  
8 nutrients: Nitrate, ammonia, phosphate, and total  
9 phosphorous declined between 70 and 90 percent in the  
10 weeks following flooding.

11 This effect of nutrient reduction following  
12 flooding may be due to the nature of the Wetlands's  
13 soils. Peaty soils are often nutrient depleted. And  
14 they're also often acid. I'm not sure if the general  
15 situation applies to the formally saline Delta salts, but  
16 the experimental evidence is quite clear that nutrient  
17 additions -- nutrients fell following flooding rather  
18 than rose.

19 MS. SCHNEIDER: Turning to experimental results,  
20 examining the flooding experiments of Jones and Stokes  
21 that was a microcosm. You talked about microcosms.  
22 Could you explain what a microcosm is briefly.

23 DR. HORNE: Microcosms are experiments in small  
24 cosms or enclosures. In detail, microcosms have been  
25 defined as experiments in containers of less than one

CAPITOL REPORTERS (916) 923-5447

2290

1 cubic meter, mesocosms in volumes of up to several  
2 hundred cubic meters, and macrocosms are large enclosures  
3 with no well-defined limits.

4 I teach a graduate course on the theory in  
5 practice that these are cosms of all sizes. And the  
6 connection with the Jones and Stokes's flooding  
7 experiments is that they would be considered  
8 experimental -- experimental enclosures, or cosms  
9 experiments. However, for simplicity some work is  
10 considered all experiments to be microcosms since they're  
11 small versions of the large real world. So the actual  
12 term microcosm, mesocosms, macrocosm enclosure, or in  
13 Canada limno-corral is not important for most  
14 nonspecialist.

15 MS. SCHNEIDER: Looking at the Jones and Stokes's  
16 experiments, those experiments were conducted by Jones  
17 and Stokes with input from the water agencies as well as  
18 the Water Board.

19 Do you consider those experiments to have been  
20 reasonable to help design the analysis of the Delta  
21 Wetlands project?

22 DR. HORNE: Yes. I consider myself an expert on  
23 these kind of experiments, and it's so listed in my  
24 resume. I carried out my first enclosure experiment on  
25 the affects of nutrients on blue-green algae in Clear

CAPITOL REPORTERS (916) 923-5447

2291

1 Lake in 1973. And I've since carried out research on all  
2 kinds of enclosures in lakes and reservoirs, San  
3 Francisco Bay estuary, and even tropical oceans.

4 I published 14 scientific papers and did peer  
5 review literature on this subject. In addition, I've  
6 published 22 reports. Finally, I carried out  
7 whole-system experiments in lakes and reservoirs of over  
8 3,000 acres and with Wetlands's up to 500 acres.

9 In fact, right now my students and I are working  
10 on an enclosure experiment in an east bay reservoir  
11 concerning DOC production from wetland plants relative to  
12 algae. So regarding the Wetlands's flooding experiments  
13 regarded out by Jones and Stokes for Delta Wetlands's  
14 reservoirs, in contrast with CUWA and DWR testimony, I  
15 find their mesocosm experiments to be appropriate for the  
16 tasks of estimating DOC releases.

17 MS. SCHNEIDER: So these experiments were a  
18 reasonable way to measure DOC concentrations?

19 DR. HORNE: Yes. I think they were a good way to  
20 assess the DOC, not just in concentration, but also by  
21 extrapolation to DOC per unit area that will be released  
22 from future Delta Wetlands's reservoirs.

23 MS. SCHNEIDER: So if the Wetlands's were flooded  
24 with twice as much water than the experiments, would the  
25 DOC concentration be reduced by 50 percent, or would it

CAPITOL REPORTERS (916) 923-5447

2292

1 remain the same?

2 DR. HORNE: The amount of DOC released in the  
3 several month-long shallow flooding experiments gave DOC  
4 values that I think can be diluted with low DOC Delta  
5 inflow water in a meaningful fashion. I estimate that  
6 the final result will be much closer to half the initial  
7 value since I see no reason why the future deeper  
8 reservoir would remove more DOC from the peat than the  
9 shallow experimental flooded area.

10 MS. SCHNEIDER: Would it have been reasonable, or  
11 necessary to replicate this particular set of experiments  
12 that Dr. Brown conducted to adequately assess the Delta  
13 Wetlands Project impacts? And, in particular, what is  
14 your opinion of Dr. Losee's suggestion that smaller  
15 replicated enclosures should have been used?

16 DR. HORNE: Regarding CUWA's criticism of the lack  
17 of replication, I agree that replication in the sense of  
18 more flooded enclosures seems a good idea. However, I've  
19 looked at many of the large macrocosm, or mesocosms  
20 experiments published in the peer review and Gray  
21 literature carried out over the last 30 years.

22 I found that replication is not usually carried  
23 out in large scales. There is a theoretical  
24 justification for not replicating large enclosures in  
25 that sometime space scale, the enclosure becomes an

CAPITOL REPORTERS (916) 923-5447

2293

1 individual, its own universe in ecological jargon.

2 CUWA suggested in oral testimony -- testimony  
3 that replicated small enclosures will be better than one  
4 large one. Since scale, in terms of wave action and  
5 mixing, is nonlinear at smaller enclosure sizes, it seems  
6 to me that for the dominant mixing variable of concern,  
7 smaller flooding experiments could not be justified over  
8 the large actual enclosure used. And, in fact,  
9 replicated enclosures, smaller enclosures, the barrels  
10 were used to estimate maximum DOC releases.

11 So I was not convinced by the argument made by  
12 CUWA that there was no replication in TOC measurements as  
13 distinct from replication of experiments. TOC was used  
14 as a surrogate for DOC in these tests. The written  
15 testimony of Dr. Jones indicate some replication for TOC.  
16 In addition, it's permissible to replicate over time so  
17 that the general continued similar values for TOC during  
18 the reservoir experiments assures me that the values  
19 shown are likely to approximate the real values.

20 The differences between the TOC values that the  
21 Jones and Stokes contract laboratory and those of the MWD  
22 lab were occasionally different by a factor of two.  
23 That's a large amount. However, I've carried out and  
24 study many inter-laboratory calibration tests, and find  
25 that occasionally vary odd results are to be expected.

CAPITOL REPORTERS (916) 923-5447

2294

1                   Nevertheless, taken as a whole the almost 50 TOC  
2                   measurements were results from both laboratories can be  
3                   compared assure me that enough agreement in  
4                   concentrations to reach conclusions as to what the TOC  
5                   and this DOC can be expected in the Delta Wetlands when  
6                   they're opened, when they are in operation. In addition,  
7                   I was not concerned, the ions did not balance in the  
8                   Jones and Stokes's laboratory -- contract laboratory. I  
9                   found this problem before. And it's -- I've not found it  
10                  to influence, or cause errors in the measurements of  
11                  other variables such as TOC, or nutrients.

12                 MS. SCHNEIDER: Were all the DOC release mechanisms  
13                 reflected in the CUWA testimony taking place in the  
14                 Wetland enclosure experiments?

15                 DR. HORNE: Yes. I think the advective mixing  
16                 processes of poor water pumping, Langmuir spirals,  
17                 bioturbation, direct wave action, and molecular diffusion  
18                 mentioned in the CUWA Exhibit 6B as well as several other  
19                 mechanisms discussed in my exhibits would appear in the  
20                 Jones and Stokes experiments.

21                 MS. SCHNEIDER: Could you state your overall  
22                 conclusion on the Delta Wetlands flooding experiments as  
23                 a method to estimate DOC concentrations that will result  
24                 when the reservoirs are operating?

25                 DR. HORNE: It is my conclusion that the two, four

CAPITOL REPORTERS (916) 923-5447

2295

1 winter and winter/spring large-scale unreplicated Delta  
2 Wetlands's reservoirs flooding experiments combined with  
3 the smaller scale replicated experiments in microcosms  
4 and soil leaching tests are an adequate basis for  
5 determining the likely concentration of DOC from the peat  
6 and other sources. Other sources being algae and wetland  
7 plants.

8 It's my opinion that these combined experiments  
9 will allow a good prediction of the likely concentration  
10 of DOC in the fall Delta Wetlands reservoirs.

11 MS. SCHNEIDER: I'd like to move to the affective  
12 DOC and algae biological oxygen demand on dissolved  
13 oxygen in the Delta Channels as an issue. In  
14 unstratified reservoirs, such as Delta Wetlands, will  
15 oxygen go down to critical levels?

16 DR. HORNE: The amount of oxygen in an unstratified  
17 reservoir depends on the balance between the amount of  
18 oxygen produced by algal photosynthesis, the amount  
19 consumed by plant decomposition, and the amount added or  
20 subtracted by the atmosphere at the reservoir surface.

21 In shallow unstratified waters the atmosphere  
22 tends to keep oxygen from going down very far, even at  
23 night when photosynthesis is shut down. It's rare to  
24 find very low oxygen in such mixed conditions. And these  
25 conditions are identical in the upper water with almost

CAPITOL REPORTERS (916) 923-5447

2296

1 every reservoir in the State.

2 Even in extreme conditions such as those found  
3 in very eutrophic Lake George, which is on the equator in  
4 Uganda, surface water dissolved oxygen did not normally  
5 fall to very low levels at night. The absence of anoxia,  
6 or low oxygen is attributable to high oxygen production  
7 today, which takes a while to go down, as well as oxygen  
8 added by wind mixing during afternoon winds.

9 MS. SCHNEIDER: Would discharge of algae and DOC in  
10 the water from Delta Wetlands's reservoirs have a  
11 substantial affect on Delta channel dissolved oxygen in  
12 your view?

13 DR. HORNE: I think the concerns raised by the  
14 Department of Fish and Game regarding the effect of  
15 outflow from the Delta Wetlands's reservoirs was on the  
16 oxygen in the adjacent Delta Channels. In particular,  
17 the question was: Would the outflows affect fish  
18 respiration?

19 And Mr. Nuzum stated that lower oxygen could  
20 harm salmonid fish in the area. Let me first look at the  
21 DOC in the reservoir. By definition almost all of the  
22 DOC leaving the Delta Wetlands reservoir will be in a  
23 refractory form, which means it cannot use very much  
24 oxygen. If the Delta Wetlands reservoir DOC were able to  
25 be degraded and use up oxygen, such degradation would

CAPITOL REPORTERS (916) 923-5447

2297

1 occur in the reservoirs prior to release to the channels.

2 Thus, DOC generated by peat leachate by  
3 macrophyte decomposition, or algae would not be a source  
4 of BOD, that is biochemical oxygen demand, in the Delta  
5 Channels of a sufficient magnitude to show a measurable  
6 decline in dissolved oxygen. In fact, the inert or  
7 refractory DOC released would tend to help fish health  
8 since that kind of DOC binds toxic metals, such as  
9 copper, and prevents that metal from harming the fish.

10 If we turn to BOD from other sources, which is  
11 particularly algae in the reservoir, only labile DOC can  
12 exert oxygen demands, or have very much of a BOD. The  
13 algae in the Delta Wetlands's reservoirs are likely to be  
14 similar in amount and kind to those already present in  
15 the channels with specific reference to their ability to  
16 generate labile DOC.

17 The DOC from such living algae will be released  
18 as small organic molecules, such as glycollate and is  
19 collectively referred to as extracellular products, or  
20 photosynthesis, or ECP. The amount of ECP generated in  
21 the Delta Wetlands's reservoirs was included in  
22 Dr. Kavanaugh's written testimony.

23 In any event, these small molecules do not exist  
24 long since they are the prime food for bacterial  
25 plankton, but are present in the Delta Wetlands's

CAPITOL REPORTERS (916) 923-5447

2298

1 reservoirs. And these bacteria will consume most ECP  
2 before it leaves the system. So if --

3 MS. SCHNEIDER: In your experience would you expect  
4 to see low oxygen levels in the Delta Channels near Delta  
5 island reservoir outflows?

6 DR. HORNE: No. Based on my observation of  
7 eutrophic lakes and reservoirs systems with ample  
8 amounts, that is, of planktonic algae and importantly  
9 with surface or shallow outflows, I have not observed  
10 substantial, or even measurable decreases in oxygen in  
11 the receiving waters below the dam or outlet, even in the  
12 early morning when the greatest affect would be  
13 anticipated.

14 The affects would be due to labile DOC, or  
15 particulate matter which will be made up of living algae  
16 and zooplankton. Typically there's some kind of mixing,  
17 or turbulence as the water leaves the reservoir or lake  
18 and becomes rivery. Pumping and release would be such  
19 mixing events.

20 The situation in top release reservoirs or lakes  
21 is in contrast with typical reservoirs with deep bottom  
22 outlets where the lack of top to bottom mixing often  
23 reduces oxygen to zero near the outflow. Also based on  
24 the above paragraph's observation as well as my recent  
25 studies on the long and short-term affects of DOC based

CAPITOL REPORTERS (916) 923-5447

2299

1 BOD on oxygen in the quiescent hypolimnion of water  
2 supplied reservoirs, I do not expect that the Delta  
3 Wetlands's reservoirs outflow will reduce oxygen in the  
4 Delta Channels even after some time has elapsed to allow  
5 the DOC based BOD to have its effect.

6 MS. SCHNEIDER: Finally, in your opinion will the  
7 water quality of the supply to CUWA agencies be improved,  
8 or degraded by the construction and operations of the  
9 Delta Wetlands Project?

10 DR. HORNE: There's a good case to be made that an  
11 improvement will occur especially regarding nutrients  
12 that will cause algae problems in the CUWA reservoirs.  
13 Since overall agricultural runoff and overall nutrient  
14 loading to the Delta from fertilizers will be decreased  
15 by the Delta Wetlands Project, there should be some  
16 general improvement in all water quality to the Delta so  
17 that CUWA agencies could expect lower algae blooms  
18 themselves.

19 MS. SCHNEIDER: Thank you, Dr. Horne.

20 Mr. Stubchaer, we have more rebuttal.

21 HEARING OFFICER STUBCHAER: I know you do. The  
22 question has run into our minds -- well, through my mind  
23 is are we going to finish tomorrow?

24 MS. SCHNEIDER: We estimate that Mr. Hultgren,  
25 Mr. Forkel, and Mr. Korslin together would be

CAPITOL REPORTERS (916) 923-5447

2300

1 approximately 45 minutes or less. I would hope less.  
2 And I don't have an estimate right now for Mr. Marine and  
3 Mr. Vogel.

4 HEARING OFFICER STUBCHAER: Well -- and then the  
5 cross-examination and rebuttal of others. So we can't --  
6 we just can't say. We just have to see how it goes.

7 MS. SCHNEIDER: We would be glad to stay as late as  
8 you wish, both nights.

9 HEARING OFFICER STUBCHAER: Well, we have reserved  
10 some dates in the future. Unfortunately, they're pretty  
11 far away, but we'll see if we can revise -- we can see in  
12 the morning if we can get some earlier dates to continue  
13 the hearing.

14 MR. MADDOW: May I be heard on that matter,  
15 Mr. Stubchaer?

16 HEARING OFFICER STUBCHAER: Yes.

17 MR. MADDOW: I think we just went about three  
18 hours. I guess if they were to finish in 45 minutes  
19 tomorrow morning that means sometime around 10:00 we'd be  
20 given our opportunity to cross-examine.

21 I kind of feel like it's taking a sip out of a  
22 fire hose. If there is, in fact, going to be a delay, if  
23 we can't finish what I'd like to recommend, what I'd like  
24 to suggest, or I'd like to request on behalf of Contra  
25 Costa Water District is that we receive copies of the

CAPITOL REPORTERS (916) 923-5447

2301

1 statements from which these witnesses were just reading.

2 In fact, the record is now going to show  
3 Dr. Horne referring to statements made like "in the  
4 previous paragraph," and things like that. He was  
5 obviously reading. Several of the people were not. To  
6 the extent that these are prepared documents that they've  
7 had the opportunity to work from, I'd like to see them so  
8 we'd have the chance to engage in some cross-examination  
9 that would be more meaningful than what's going to happen  
10 if we're going to go after taking this little sip out of  
11 the fire hose.

12 I don't think that's an unreasonable request  
13 under the circumstances given, there's going to be five  
14 hours of rebuttal testimony on top of five hours of  
15 direct testimony for which we did have a chance to  
16 prepare.

17 HEARING OFFICER STUBCHAER: I understand and --

18 MS. SCHNEIDER: I strenuously object to that,  
19 Mr. Stubchaer. Those were notes that were used by  
20 various witnesses. Cross-examination can be done on the  
21 basis of notes that Mr. Maddow took. These are documents  
22 that were prepared and are not required to be provided in  
23 writing as is direct testimony.

24 HEARING OFFICER STUBCHAER: If, per chance, we have  
25 a delay, substantial delay the transcript might be ready

CAPITOL REPORTERS (916) 923-5447

2302

1 before the next day of the hearing would be, also.

2 MR. MADDOW: Certainly wouldn't be ready by  
3 tomorrow morning at 9:00 o'clock.

4 HEARING OFFICER STUBCHAER: No. No. No. All  
5 right. Your request is noted. We've had an objection to  
6 it. We'll take it up, again, in the morning after we  
7 have a chance to discuss it.

8 Now, just out of curiosity, would the other  
9 parties who intend to present rebuttal testimony just  
10 stand one-by-one and tell me the estimate of their time  
11 required.

12 MR. NOMEILLINI: I think 20 to 30 minutes for  
13 Central Delta Water Agency.

14 HEARING OFFICER STUBCHAER: What safety factor  
15 should we put on there?

16 MR. NOMEILLINI: Since you've been so lenient I  
17 think we're going to hit the mark.

18 HEARING OFFICER STUBCHAER: Okay. Who else? Thank  
19 you, Mr. Nomellini.

20 MR. ROBERTS: Mr. Stubchaer, it's hard for me to  
21 estimate. I had about a half hour estimate, but that's  
22 subject to some change, I believe.

23 MS. BRENNER: Rebuttal is of direct testimony not  
24 of rebuttal testimony.

25 HEARING OFFICER STUBCHAER: I'm sorry?

CAPITOL REPORTERS (916) 923-5447

2303

1 MS. BRENNER: He's indicating that -- CUWA's  
2 Counsel is indicating that their rebuttal will, perhaps,  
3 increase. And I'm just reminding all in the room that  
4 rebuttal testimony goes directly to direct testimony not  
5 rebuttal testimony.

6 HEARING OFFICER STUBCHAER: That's up to me to  
7 remind them, not you.

8 MS. BRENNER: Thank you.

9 HEARING OFFICER STUBCHAER: Okay.

10 MR. MADDOW: 30 to 45 minutes I'm suspecting. We  
11 very frankly have more work to do this evening  
12 independent of any of the issues that Ms. Brenner just  
13 attempted to address.

14 HEARING OFFICER STUBCHAER: Okay. Anyone else?

15 MS. MURRAY: We estimate 30 to 45 minutes, possibly  
16 up to an hour.

17 HEARING OFFICER STUBCHAER: Well, we'll see how the  
18 recross goes. It may be that we're going into tomorrow  
19 evening, we might do it.

20 MS. SCHNEIDER: We will endeavor to be about an  
21 hour and a half. It is a function of the fish work.

22 HEARING OFFICER STUBCHAER: I thought you just said  
23 45 minutes plus some other witnesses.

24 MS. BRENNER: Plus the fish testimony.

25 HEARING OFFICER STUBCHAER: Well, all right. We'll

CAPITOL REPORTERS (916) 923-5447

2304

1 see how it goes. And any other comments, or questions in  
2 our procedure?

3 Mr. Canaday.

4 MR. CANADAY: Mr. Stubchaer, are you hinting to  
5 the parties in this room that they should plan to go for  
6 a long day tomorrow? Is that your --

7 HEARING OFFICER STUBCHAER: It's my inclination  
8 that if it looks like we could finish tomorrow evening to  
9 go into the evening. But, frankly, I don't know how  
10 attentive people can remain late in the day. And it may  
11 be a disservice to some of the parties to have them go on  
12 at 9 or 10:00 at night. I know we're just creating a  
13 record, but anyway that wouldn't be my intention to go  
14 that late.

15 MS. SCHNEIDER: Mr. Stubchaer, is it possible to  
16 take another half hour now to finish Hultgren leaving  
17 only our fish testimony for the morning? I assure you  
18 we'll do it as expeditiously as possible and we'll try to  
19 finish within a half an hour.

20 HEARING OFFICER STUBCHAER: Okay. Any objections?  
21 Anyone have to get out of here right now?

22 THE COURT REPORTER: I'd like a break.

23 HEARING OFFICER STUBCHAER: Okay. About how long  
24 of a break?

25 THE COURT REPORTER: About five minutes so I can

CAPITOL REPORTERS (916) 923-5447

2305

1 change paper and tape.

2 HEARING OFFICER STUBCHAER: Okay. We'll take a  
3 five-minute break.

4 (Recess taken from 4:58 p.m. to 5:05 p.m.)

5 HEARING OFFICER STUBCHAER: Let's come back to  
6 order. We've had a change of plans. What we've decided  
7 to do is have all the rebuttal testimony tomorrow. No  
8 cross. And we will reconvene on August 19th and 20th as  
9 necessary for cross-examination on the rebuttal  
10 testimony. So we're going to not hear your  
11 cross-examination this afternoon. We're going to recess  
12 now.

13 MS. SCHNEIDER: Could I ask a clarifying question,  
14 Mr. Stubchaer?

15 HEARING OFFICER STUBCHAER: Sure.

16 MS. SCHNEIDER: Since there is no cross-examination  
17 tomorrow, may we excuse certain witnesses who have  
18 already provided their rebuttal testimony?

19 HEARING OFFICER STUBCHAER: Yes.

20 MS. SCHNEIDER: They wouldn't be called in cross.

21 HEARING OFFICER STUBCHAER: Yes, you may. Any  
22 other questions?

23 MS. SCHNEIDER: I do have another question. So  
24 does that mean that everyone's rebuttal testimony in full  
25 will be provided tomorrow?

CAPITOL REPORTERS (916) 923-5447

2306

1 HEARING OFFICER STUBCHAER: That's what we expect.

2 And we'll stay here until it's done.

3 MS. SCHNEIDER: Thank you.

4 MR. MADDOW: August 19 and 20th?

5 HEARING OFFICER STUBCHAER: That's Tuesday and  
6 Wednesday, August 19th and 20th. If there's nothing else  
7 we'll be recessed until tomorrow morning at 9:00 a.m.

8 (The proceedings concluded at 5:11 p.m.)

9 ----oOo----

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CAPITOL REPORTERS (916) 923-5447

2307



CAPITOL REPORTERS (916) 923-5447

2308

